

UNITED STATES FEDERAL COMMUNICATIONS COMMISSION

In Re:)
)
WIRELESS BROADBAND FORUM)
)
)
)
)
)

Pages: 1 through 254
Place: Washington, D.C.
Date: May 19, 2004

HERITAGE REPORTING CORPORATION

Official Reporters
1220 L Street, N.W., Suite 600
Washington, D.C. 20005-4018
(202) 628-4888
hrc@concentric.net

Before the
FEDERAL COMMUNICATIONS COMMISSION
Washington, D.C. 20554

In Re:)
)
WIRELESS BROADBAND FORUM)
)
)

Commission Meeting Room
FCC Building
445 12th Street, S.W.
Washington, D.C.

Wednesday
May 19, 2004

The parties met, pursuant to notice.

BEFORE: HONORABLE MICHAEL POWELL
Chairman

APPEARANCES:

P R O C E E D I N G S

(9:35 a.m.)

1
2
3 MS. SEIDEL: Good morning. I'm Cathy Seidel
4 and I'm the Deputy Chief of the Wireless Bureau. I'd
5 like to welcome you all to the Commission's Boardband
6 Forum. Today's forum will focus on three critical
7 issues relating to broadband wireless services.
8 Specifically, we'll talk a little bit about what
9 wireless broadband is, what wireless broadband will be
10 and, perhaps, most importantly, what wireless
11 broadband should be. We've brought together business,
12 technology and government leaders in what is sure to
13 be an open, informative and lively discussion.

14 As outline in the agenda, today's forum will
15 be comprised of four panels, each of which will be
16 moderated by one of our commissioners, each of whom
17 has graciously agreed to be a part of this effort.
18 These panels will explore technological development,
19 consumer demand, barriers to further success and
20 expectations for the future.

21 To ensure a healthy discussion, we have set
22 aside time for questions from the audience at the end
23 of each panel discussion. In addition to the panels,
24 we will be setting up demonstration rooms from noon to
25 5:00 p.m. so that everyone can view some of the key

1 technological developments in the wireless broadband
2 space.

3 With the recent creation of the Broadband
4 Division within the Wireless Telecommunications
5 Bureau, under the able leadership of Joel Taubenblatt,
6 the Commission's vision of wireless broadband
7 continues to develop and sharpen. We believe that
8 this forum today will support and help inform the work
9 of the division and outline options for the Commission
10 that will have a positive impact on long-term wireless
11 broadband development.

12 This point will be brought home later today
13 by the Wireless Bureau's Chief, John Muleta, who will
14 fight his own unique perspective of the wireless
15 marketplace and the strives the Bureau is making to
16 promote wireless broadband.

17 As many of you are aware, conducting a forum
18 such as this requires a heavy amount of
19 behind-the-scenes work. I'd like to thank the work of
20 staff in the Wireless Telecommunications Bureau as
21 well as the Office of Engineering and Technology for
22 the detailed work that was done to make this forum a
23 reality. Specifically, I'd like to thank Chelsea
24 Fallon, who's probably running around here somewhere,
25 who has really been the primary organizer for today's

1 event and really has gone above and beyond the call of
2 duty to make today's event a meaningful experience for
3 each of its participants.

4 Before we get started with our panel
5 discussions, Chairman Michael Powell has agreed to
6 kick off today's events by discussing his vision for
7 wireless broadband. As you know, Chairman Powell has
8 consistently championed wireless technology and
9 innovative broadband services in particular as a means
10 to achieve ubiquitous and affordable telecommunication
11 services nationwide. As chairman of the FCC, he truly
12 has his finger on the pulse of wireless broadband and
13 is singularly positioned to help ensure the continued
14 development of wireless broadband for the benefit of
15 individuals, commercial entities, public safety
16 entities and the community and beyond. So, without
17 further ado, please join me in welcoming Chairman
18 Powell.

19 (Applause.)

20 CHAIRMAN POWELL: Thank you, Cathy. That
21 was a great introduction. She's not press agent.
22 Very nicely done.

23 I want to the opportunity today to welcome
24 all of you here to the FCC for this very important
25 forum on broadband and, particularly, the promise that

1 wireless holds for bringing the great benefits of
2 broadband to all Americans. It seemed to me, walking
3 in here today, I don't need any more graphic
4 representation of broadband than looking at our narrow
5 band security system to get people into this room. So
6 that's our own graphic representation of the value
7 that we're here to talk about today.

8 We have been talking about, as a community,
9 broadband for years now. The recognition of the
10 internet, the recognition of the promise that it holds
11 for America and world citizens everywhere, but, as we
12 move into this year, we really begin to see the
13 intensifying recognition at all levels of government
14 the promise that broadband holds for any nation that
15 hopes to remain competitive and globally significant
16 in the world of the information age and the world of
17 the future. And that recognition is punctuated by our
18 leaders increasingly setting out ambitious goals for
19 this nation to reach.

20 The President of the United States recently
21 talked about wanting broadband availability to all
22 Americans by 2007, a truly bold and ambitious goal
23 that's going to be difficult to meet, but we're able
24 to meet. But it only will be met by the use of every
25 possible tool in our broadband tool kit to get there.

1 And it will be critical that wireless a major role in
2 our ability to provide these benefits to the American
3 consumer.

4 This is, as we often say, the central
5 communication policy objective of the era. It's more
6 than talk now and it's time for action and these
7 forums are unique and important way to bring together
8 critical communities to identify issues, to develop
9 solutions and highlight important questions for
10 government as it develops a spectrum policy that's
11 respectful and efficient and productive for the
12 broadband goals that we hope to achieve.

13 It is becoming more clearly focused what the
14 benefits to a nation are of a constructive broadband
15 policy and a broadband success. The American consumer
16 we have a simple goal. We want to be able to provide
17 this critical plug into an information appliance in an
18 information age to every single American no matter
19 where that American chooses to set up their family and
20 live and to do so at affordable rates so that it is
21 something that is for all of us regardless of our
22 sociodemographic class. That issue has always proven
23 to be difficult and sometimes impenetrable using the
24 technologies of the past. For a hundred years, we
25 have hauled copper wire over a mountain and through

1 rivers and through valleys and over poles to try to
2 reach this objective using a single technology. But
3 that's what holds so much promise as we move into the
4 future. We're able to use other technologies that
5 will make that challenge more addressable.

6 A satellite cares very little about those
7 demographic difference. Wireless can bridge distances
8 that wire line functions can't. Wireless has unique
9 opportunities for interactivity and mobility that
10 other technologies don't. So, as we begin to sort of
11 put this together for consumers, we see wireless as a
12 critical component to that. I think, also, we begin
13 to recognize anybody who cares about the economic
14 well-being of their nation has begun to see the
15 critical value of investing in broadband
16 infrastructure and information technologies.

17 The United States has been able to steadily
18 increase its global and its economic productivity
19 almost exclusively because of its continuing
20 willingness to invest in information technologies.
21 Indeed, last year the United States had extraordinary
22 productivity growth at the end of the year
23 attributable directly to our investments in internet
24 and information technologies of the '90s. If the
25 United States is going to maintain its ability grow

1 its economy, I think the continued proliferation of
2 broadband technologies with wireless playing a
3 critical part are key to that solution.

4 Productivity and growth are what we are
5 about to make our generation better for our children
6 and that's how daunting and important that task will
7 be. And safety and security, as we all have come to
8 be aware, in the post-911 world, we understand that
9 we're vulnerable. We're not blessed as much we once
10 were by geography. We can't take for granted the
11 safety and security that we've come to enjoy in our
12 generation and we understand that as an economy moves
13 into an information age, its dependence, its vital
14 dependence on critical information infrastructure
15 becomes deepened and, as it becomes deepened, indeed,
16 we become both benefitted but more vulnerable to
17 problems in that network.

18 We have a historic opportunity as we
19 engineer networks for next great era of communications
20 to be cognizant of the need for safety and security at
21 the front end of the engineering problem. It's
22 important to be thinking about first responders and
23 public safety now not later. It's important to be
24 talking about how to secure networks and encrypt them
25 and protect them from those who would rather do you

1 harm or gain access to information inappropriately.

2 It's important to have that up front.

3 To often, I think, in public policy, we
4 often are working on those things on the back end of a
5 deployment or we're bolting them on at the end. Let's
6 be cognizant of them at the front end for the good of
7 our citizens.

8 Wireless, again, as I have said, is vital.
9 And I'll put it this way, to me and in my mind, one of
10 the great ways to achieve the benefits that we're
11 talking about is we can't rest on any single
12 technology. I will give anyone a platform who has a
13 broadband platform, who has the possibility, the
14 opportunity, the entrepreneurial spirit to bring it to
15 the market and bring it to deploy it to consumers.
16 This is not an agenda just for a phone company, just
17 for a cable company, just for a big wireless company.
18 It's also a form for entrepreneurs and innovators and
19 radical creators of new goods and services. And it's
20 the Commission's mission to try to drive any platform
21 that can deliver these services and deliver them
22 effectively.

23 For 100 years, if I were to characterize the
24 great regulatory difficulty, it's because we always
25 had one wire. We had one wire to the home and because

1 of that one wire you had enormous difficulties of
2 monopoly control, bottle-neck facilities, the pricing
3 of those facilities, how to get that one wire to every
4 home in the United States. We have a historic
5 opportunity here to not repeat that world. We have
6 the opportunity for not one. We're clearly going to
7 have two, DSL and KL modem are well on their well, but
8 the holy grail is when you get to three. Magical
9 things happen in competitive markets when there are
10 three. Magical things happen when there is real
11 choice and pressures for innovation. And we are
12 looking. We want your poster up here for the third
13 great access and, indeed, the fourth or fifth for the
14 American consumer. And we all know that wireless rest
15 somewhere there in that solution to bring that
16 competitive world and take pressure off the regulatory
17 environment for upgrading the market benefits that
18 that dynamic can produce and we're already beginning
19 to see it.

20 I don't need to catalog for this community
21 the explosive growth in everything from Wi-Fi
22 technologies to wireless internet service provision
23 that is popping up in rural America, particularly, all
24 over the country. We're beginning to see greater uses
25 of wireless mobile broadband products such as EVDO

1 coming into the marketplace. This is not science
2 fiction anymore. These are true commercial
3 applications that are rapidly spreading throughout the
4 marketplace. But, more exciting, there are a number
5 of dramatic wireless technologies on the way. We see
6 creative uses OFDM, wideband CDMA, wi-max, ultra
7 wideband, products that just a few years ago
8 technologies very few had every heard of now beginning
9 to work its way through the commercial system and
10 beginning to produce real products for consumers. So
11 the future is exciting, innovative and bright and we
12 look forward to wireless as part of that solution.

13 The FCC has recognized for years now that
14 spectrum is vital to realizing this vision and that it
15 had to have a bolder, more enlightened national
16 spectrum policy. And, from Day 1, we have been
17 working very, very hard to change the traditional
18 command and control approach that is not respectful of
19 innovation, not respectful of the need to move
20 spectrum to its highest and best uses and to work
21 really, really hard to provide a spectrum policy
22 that's much more facilitating of more platforms, more
23 broadband platform, more innovation, more choice, more
24 flexibility. Put simply, our view is that more
25 spectrum more flexibility and more innovation will

1 equal more broadband and a brighter information
2 landscape and that's the core of our policy.

3 Just to mention a few of the big items that
4 we've looked at and are looking at, Advanced Wireless
5 Services, just last year the Commission allocated an
6 additional 9 megahertz that can be used for Advanced
7 Wireless Services, MDS and ITFS will begin working
8 very, very hard to develop new rules that will provide
9 less complicated and more flexible structures for MDS,
10 ITFS band. We expect to release these rules sometime
11 this summer.

12 The 70, 80, 90 gigahertz bands, the
13 Commission has established innovative framework for
14 allowing commercial use of spectrum in those bands.
15 24 gigahertz, the auction of spectrum license and the
16 24 gigahertz band that can be used to provide a range
17 of fixed broadband services is going to begin on July
18 28th. We have promoted the use of secondary markets
19 for people to have more commercial flexibility in
20 obtaining spectrum and allocating spectrum.

21 In our world of important order, we're
22 working on specific solutions for rural America.
23 We've promoted more unlicensed spectrum and recently,
24 in particular, in the 5 gigahertz band and we're
25 working very aggressively on new technologies like

1 smart radio that will provide really new and creative
2 technological solutions to spectrum scarcity and can
3 open up more possibilities.

4 So the bottom line is all the raw material
5 is there. The recognition is there. The
6 understanding of its importance has begun to gel. Now
7 all there is the easy part of actually making it
8 happen and that's what this forum is one small part of
9 to bring the stakeholders together who know how to
10 make it happen and to leave this room better than we
11 found it this morning and, hopefully, in a few years,
12 we'll be looking back quite proudly of our
13 accomplishments, knowing that we put the country and
14 the world on a better, more competitive footing and a
15 world that our children will enjoy for many years to
16 come and I'm excited to be a part of it, excited to
17 have you here and want to thank you for your service.
18 Thank you very much.

19 (Applause.)

20 MS. SEIDEL: Thank you, Chairman Powell.

21 In a moment, we'll get underway with our
22 first panel and I'd like to invite the first panelist
23 to come on ahead and take a seat here. And, while you
24 do that, I'll mention just a couple of housekeeping
25 items.

1 First of all, and, perhaps, most
2 importantly, there is an overflow room which is in
3 TWC488 and I think there are signs outside that point
4 you in that direction for folks that may be standing
5 or may not have a seat.

6 The format for the panels today is that the
7 moderator will give each panelist five minutes to
8 introduce themselves and their company or organization
9 that they represent. Following the introductions,
10 there will be an informal, moderator-led question and
11 answer session for approximately 30 minutes.
12 Following that, the floor will be opened up for 10 to
13 15 minutes of questions from the audience and there
14 are speakers placed throughout the room for that
15 purpose.

16 With that, I'd like to welcome
17 Commissioner Abernathy and our first set of panelists.
18 Thank you.

19 COMMISSIONER ABERNATHY: Thank you very
20 much. As the Chairman spoke so eloquently this
21 morning, this is an opportunity for us to learn even
22 more about wireless broadband services, what's going
23 out there, what technology is doing and what we should
24 be doing better. But, first, I want to thank everyone
25 for attending today's forum, both the speakers and the

1 folks in the audience. It's just another mechanism
2 for us to try and figure out how we regulate a
3 technology that's head and shoulders above how fast
4 the government can act.

5 So what we're trying to do is get a handle
6 on that and understand where we can add value, where
7 we would simply be standing in the way and we should
8 step back. This first panel on wireless broadband
9 technology, it serves as a baseline for all of our
10 further discussions that we will be having throughout
11 today's forum and this is because technology and
12 consumer demand, not regulatory policies, should be
13 what drives the marketplace. And I'm excited about
14 the innovative technologies that are appearing in the
15 market. I'm hopeful that we can craft a regulatory
16 framework, continue to work on a regulatory framework
17 that will incent further development and deployment of
18 broadband wireless services to American consumers.

19 So far, what we've been able to do, as
20 outlined by the Chairman, is we've embraced broadband
21 wireless by making additional unlicensed spectrum
22 available for unlicensed devices, allowing more
23 flexibility for licenses and the types of services
24 that they can provide, initiating a proceeding to
25 create rules for broadband over powerline and

1 examining rules that would allow more efficient use of
2 the spectrum resource. These are our first steps.

3 What I'm hoping for today is to hear more
4 from our panelists about their views on where the
5 technology for wireless broadband is taking us, what
6 consumers expect, what they want that they don't know
7 that they want, and already wireless broadband
8 services is changing our lives by providing services
9 such as mobile access to medical information by
10 emergency personnel, any time, any place access to
11 data services and improved communications for public
12 safety. So we're already seeing significant, dramatic
13 changes in how we live our lives as a result of
14 broadband wireless services.

15 So, with that, I thought I'd go ahead and
16 introduce each of our panelists and provide them with
17 a few minutes to tell us more about themselves, what
18 they're working on, why they've been involved in this
19 area and then we'll move on to a question and answer
20 session.

21 So I think down at the very end we have
22 Pierre de Vries of Microsoft. He's the CTO, Chief
23 Technology Officer. They've created this great
24 microsoft home that I've seen and we'd love to hear a
25 little bit more about your background and what you're

1 up to.

2 MR. de VRIES: Commissioner Abernathy, thank
3 you very much.

4 Good morning ladies and gentlemen. It's
5 always an interesting question, what's a software
6 company doing here in our communications environment?
7 And the vision that we have, the dream that we have
8 is for affordable connected computing for everybody.
9 And you can see the computing part is something where
10 we would like to contribute by providing a platform,
11 by providing applications, but it's not something that
12 we can do on our own by any means.

13 We work with people who provide the
14 equipment, the hardware. People who provide other
15 services. People who actually provide the
16 connectivity and we're very excited by the prospects
17 of wireless. It's a way of providing connectivity as
18 the Chairman said. It's another choice that people
19 will have and there have been a lot of investments and
20 a lot developments in this area, broadly speaking, in
21 three places. The technology keeps improving. The
22 technologies like OFDM, the improvement in online
23 sites connectivity for consumer wireless broadband.
24 It has been very impressive to observe over the last
25 10 years.

1 The companies keep investing. There are
2 people who are entrepreneurs who start new companies.
3 They get funded by people who want to create new
4 businesses and that is continuing and exciting. And
5 the third thing is that the regulators, the FCC, is
6 moving aggressively to create the environment for this
7 and I'd like to thank the Commission for inviting us
8 and for setting up this conversation.

9 Those three things that I mentioned are, I
10 think, the golden triangle of new innovation, the
11 three things that one has to get right. You have to
12 get the technology right. You have to get the
13 business right and you have to get the policy
14 framework right and we need to see investment and
15 progress in all of those.

16 Microsoft's investments are mainly in the
17 technology space where we're working to create support
18 in our operating systems and applications that run on
19 top of that use broadband connectivity and make sure
20 that customers can use new technologies that are
21 emerging. We're also investing time and effort in
22 standards organizations because it's very important to
23 create the environment and the low cost through doing
24 standards.

25 If I think about what the future is like for

1 this space, it doesn't feel to me as if we've nailed
2 it yet. In a way, we wouldn't be here today if we'd
3 nailed broadband, but we're moving in a spiral. We
4 keep improving. When I think about what really
5 remains to be done, I'm guided by the entrepreneurs
6 that I've spoken to and the business models that I've
7 seen. And, when I think about consumer wireless
8 broadband, there seems to be three things that really
9 drive the models. The first is the customer's premise
10 equipment, the cost of the customer's premises
11 equipment. The second is the subscriber acquisition
12 cost and the third is the cost of spectrum.

13 Now, if we think about the customer premises
14 equipment, the cost keeps coming down thanks to
15 Moore's Law and the innovation and the invention by
16 people who are building things.

17 Subscriber acquisition cost is a tricky one
18 because that depends on a variety of factors. How do
19 you get your marketing out? If you send out a flyer,
20 do you advertise in the city? And you get leads, can
21 you actually provide service to everybody who picks up
22 the phone and says, yeah, I want this service? That
23 actually touches on coverage and range. And another
24 factor in subscriber acquisition cost is, do you need
25 to have a truck go to the house and install an outside

1 antenna. That adds about \$250. Again, that's a
2 coverage question and that's why spectrum is an
3 important part of this.

4 I don't want to pre-judge the conversation
5 we're going to have later. We only get a five-minute
6 head start before the hounds get released, but I think
7 some of the issues that are important in my mind for
8 spectrum is that we need a mix of spectrum in order to
9 bootstrap these businesses. There needs to be
10 spectrum at 2.5, 3.5. But there also needs to be
11 spectrum below 2.5 gigahertz in order for companies to
12 get going.

13 Below 2.5 gigahertz is code. It's code for
14 700 and, therefore, there needs to be progress -- and
15 there's a lot of work going on in this building and in
16 many other places about accelerating the transition,
17 the broadcast spectrum and allowing agile use of
18 radios in that spectrum. What will we do with that
19 spectrum? I think it's good to have a mix of licensed
20 and unlicensed usages for a variety of reasons.

21 And, also, last but not least, to make sure
22 that we have global alignments. The FCC and the NTIA
23 of industry did an amazing job in the last couple of
24 years with ultra wideband and with the 5 gigahertz
25 allocation to ensure that the U.S. remains the leader

1 in these technologies. But one can only do that with
2 a colonization of business, technology and policy and
3 that's what I look to this group to contribute to.

4 Thank you.

5 COMMISSIONER ABERNATHY: Thank you very
6 much.

7 Next we have Guy Kelnhofer, who is the CEO
8 of NextNet Wireless and this is a company that is an
9 industry leader in broadband wireless access. Thank
10 you for joining us and we look forward to hearing from
11 you.

12 MR. KELNHOFER: Thank you,
13 Commissioner Abernathy.

14 I'd like to thank John Muleta from the
15 Wireless Bureau for the invite to speak before you
16 today.

17 Let me talk about our vision. Imagine
18 getting on a plane in Montreal, Canada and getting off
19 a plane in Rio de Janeiro and having an device that
20 fits inside your briefcase that allows you
21 instantaneous voice and data communications, including
22 video streaming, voice over IP and DSL and DSL speeds
23 and better? That's here today. That is our vision.
24 That's we've created. Imagine like Mr. de Vries said,
25 the need to -- to eliminate the need for a truck roll,

1 the need for software in your computer, the need for
2 multiple visits from the cable guy. It's here today.

3 We've spent four years developing this
4 technology. We've been selected three times for
5 national employment, including Canada, Mexico and
6 Brazil. As Chairman Powell said today, the vision for
7 this technology is the ability to deliver very secure
8 communications at very high speed. Imagine driving
9 150 kilometers per hour in your car and being able to
10 download multiple sessions over the internet. We're
11 doing that today.

12 This gives us the ability to completely
13 change the economics for public safety 180 degrees.
14 As Chairman Powell indicated, after the changes of
15 post-911 that's a preeminent that broadband wireless
16 technology find its niche within the security
17 applications. We have the ability to change the
18 economics today. We're going from uniband public
19 safety to broadband public safety. The ability to
20 deliver to police over 9 percent of the dollars in an
21 actual solution and still spending that money for
22 software for spoofing compression, TCP application
23 spoofing and everything that is required by now.

24 One of the challenges we face as an
25 industry, first and foremost, is the MPRM that sits

1 before the Commission today and the speedy resolution
2 for that MPRM. We all are hopeful that the result
3 will relieve enough channel bandwidth to still be able
4 to deliver broadband services regardless of modulation
5 techniques we might use, whether that be 4 quam, 16
6 quam or 64 quam. If the pipe becomes too narrow, the
7 benefits of broadband are lost. So that is one of the
8 important things that we need to really focus on today
9 as far as what happens in the imperium.

10 The second and more important thing is
11 movement with the major spectrum holders. As we've
12 said, we've managed to be selected now for both Canada
13 and Brazil. And what's happened in the U.S. has been
14 a very unique situation where, instead of waiting for
15 the 600-pound gorillas to move, there's been a ground
16 swell of small communities, rural communities that are
17 interested in deploying broadband and they're
18 interested in doing it over a licensed spectrum
19 because of the problems associated with unlicensed
20 spectrum with the noise floor, interference --
21 potential interference coming on line.

22 These communities are struggling to keep
23 their economies strong, to keep their economies
24 vibrant. They're struggling with issues like
25 depopulation. We're deployed in six cities today

1 across Iowa. Iowa has suffered from depopulation.
2 Iowa is looking for any solution to keep their
3 economies vibrant and strong. We see the same things
4 in New Mexico, in Michigan, in Minnesota, in Texas, in
5 Arizona, in other states where it applied today. All
6 communities are looking for a solution. They're
7 looking for leadership. They're looking for a way to
8 keep their population stable and grow. And, for that,
9 they need access to the internet. They need
10 alternative solutions other than what are available
11 out there today.

12 Finally, as we move forward, there's the
13 issue of standards. We believe very strongly in the
14 standards process and we believe that's one of the
15 ways in terms of Moore's Law and the economy of skill
16 will be able to drive pricing down within the
17 marketplace. From that standpoint, we have driven
18 very, very closely to follow the Wimax standard and
19 ensure we are going to be interoperable now and in the
20 future and we stack up very closely today in that.

21 You can pass the 802.16 or 802.20. We're
22 nearly there. We're OFDM. Our air link is TTD. Our
23 capacity is 12 megabytes over the air. We have the
24 ability now, which is a separate standard from 16,
25 which is actually 20. So we think standardization is

1 important. We think that's another key driver in this
2 space and we think it's imperative that all of the
3 vendors drive towards interoperability in the future.

4 Thank you very much.

5 COMMISSIONER ABERNATHY: Thank you very much
6 and thanks for coming.

7 Next we'll hear from Margaret LaBrecque and
8 the Wimax forum. She's chair of the Regulatory
9 Taskforce. And, in response to some of the concerns
10 just expressed by Kelnhofer, she's been working on
11 interoperability in standards. So, Margaret, welcome.

12 MS. LABRECQUE: Thank you, Kathleen.

13 Well, from the perspective of Intel,
14 broadband access is without question the number one
15 driver of demand for our primary product, which is
16 microprocessors. Therefore, it's very natural for us
17 to be interested in broadband wireless access,
18 broadband access in general.

19 Certain business are based upon value
20 manufacturing. It costs Intel upwards of \$40 million
21 to create a single generation of a single chip. The
22 availability of cost effective production to
23 manufacturers of broadband wireless access systems has
24 been a huge issue in this industry. We believe it's
25 been the primary -- one of the primary issues holding

1 this industry back. If we do some simply math --
2 although it may cost Intel \$40 million to develop and
3 market a chip, if you're developing your own chip, you
4 may be able to do it for 15 or \$20 million if you can
5 only use it yourself void of a global standard in
6 place.

7 If you sell 200,000 units of your product in
8 a year, which for this industry, which has been driven
9 by innovative companies, such as the ones here today,
10 \$200,000, historically, would have been a good unit
11 run for a year. Divide \$20 million by 200,000 and
12 you've just added \$100 to your cost of your system.
13 You know that by the time this system ends up in the
14 consumers hands, typically, it's a two to three X
15 increase in price. So you just added 250 to \$300 to
16 the price the consumed system, meaning you have lost
17 the chance for explosive growth in this industry.

18 What's necessary for Intel to be involved in
19 this market is a global standard and we see that in
20 IEEE 802.16. Some of you may be familiar with the
21 IEEE. If you're not, some of our favorite technology,
22 internet, is 802.3. Wi-Fi is 802.11. So, we feel
23 that the IEEE is a very credible, global standards
24 body to back this effort. But a standard itself
25 doesn't buy you much because any vendor can say

1 they're compliant to the standard and without a body
2 like the Wimax Forum to actually certify that they are
3 compliant, it won't be a benefit for service providers
4 of the operators actually deploying this equipment.

5 The key litmus test for compliance to the
6 standard is that you are actually able to interoperate
7 with another vendor's equipment. What that means for
8 the service provider is that they can mix and match
9 equipment within their network from different vendors.
10 When you know that there's ability to mix and match
11 standards based technology is what made the PC
12 industry take off. It's what made the internet take
13 off. It's what made Wi-Fi take off and it's what will
14 make Wimax take off.

15 I'm pleased to say that the Wimax Forum has
16 over 100 vendors today, 100 members today, which
17 about 40 are system manufacturers. These
18 manufacturers ship well over 90 percent of all
19 broadband wireless access equipment that's shipped
20 today, of course, this is pre-standard broadband
21 wireless access equipment. They have deployments in
22 over 130 countries. So it's my belief that we have
23 the question, the momentum for building the forum to
24 take this industry to the next level.

25 As we know, anyone involved in hi tech knows

1 that it's globally competitive and it's really not
2 possible to survive unless you can compete on all the
3 relevant vectors and one of those key vectors is the
4 availability of spectrum, good spectrum. Not all
5 spectrum is equal. The U.S. has been a progressive
6 leader in the area of license exempt spectrum and, of
7 course, this is why Wi-Fi is so successful today.

8 Wimax operates in both licensed and licensed
9 exempt spectrum. And, therefore, not only are the
10 efforts that have happened to gain more access to
11 license exempt spectrum very beneficial for us, but,
12 also, the efforts to gain access to more licensed
13 spectrum for broadband wireless access, especially, in
14 lower frequency bands, this is a huge benefit. As an
15 example, 700 megahertz, you may need 1/10th the number
16 of base stations that you would require at, say,
17 2.5 gigahertz. This is a huge cost advantage.

18 If you're going to really roll this
19 broadband wireless access out globally in a cost
20 effective manner, we must have access to good
21 spectrum. Thank you.

22 COMMISSIONER ABERNATHY: Thank you very
23 much, Margaret.

24 And now we will turn to Brian Markwalter
25 from the Consumer Electronics Association. He's

1 Senior Director of Technology and Standards, which
2 we've been talking about and he's been working in many
3 different inter-industry venues on behalf of CEA.
4 Thanks for coming today. We look forward to hearing
5 what you have to say.

6 MR. MARKWALTER: Thank you.

7 Well, I'm happy to be here on behalf of
8 Consumer Electronics Association. Our mission is very
9 simple. We promote growth to the consumer technology
10 industry and, as a result of that, we've grown
11 phenomenally, actually. We have now more than 1500
12 corporate members that represent every aspect of
13 consumer technology -- audio, video. And the things
14 that are important in this area, both wireless or wire
15 line communications, information technology, home
16 networking and our company's also sold every part of
17 the food chain of the consumer technology cycle, the
18 design, development, manufacturing, retail, service,
19 and installers. We have virtually every part of it.

20 It's a \$90 billion industry in the U.S. and
21 we produce and sponsor the International CEA. I'm
22 sure many of you have been to it. It's quite a sight
23 to see and the Commissioner's been there. It's a very
24 interesting invent. It's eye candy for those who
25 enjoy this kind of stuff. But, more importantly, the

1 profits that are made from that show are funded back
2 into work to grow the industry, to fund things like
3 training, technology and standards, advocacy work and
4 policy work. So, CEA has had a long history of
5 working with the FCC in many bureaus and departments.
6 We work with OHE, with Wireless Telecommunications,
7 with your Consumer and Government Affairs and
8 Strategic Planning and Policy bureaus. So this is
9 familiar territory for us. I suspect somebody is over
10 here every week or so dealing with various issues.

11 Now CEA, in terms of what we do outside of
12 pure regulatory work and interaction with the FCC, we
13 conduct training. We might get to that later on,
14 perhaps, in questions. I'm not sure we've touched on
15 that subject just yet. We also, somewhat in response
16 to the increased activity of the FCC, I suppose, in
17 dealing with spectrum issues, we created a spectrum
18 policy taskforce under our Government Affair Council
19 that we use to develop our industry position by
20 talking to member companies and we have since last
21 year added a technical to advise them so that our
22 filings can have both a technical and a policy
23 component to them because these are very complex
24 issues we're getting into now, especially, was we try
25 to maximize use of spectrum.

1 We are, and I'm actually very happy, so far
2 all three speakers have mentioned a pro-standard
3 stance. We're actually an ANSI accredited standards
4 organization. I suspect the only one on the sessions
5 today. So we develop standards. Now we are not a
6 primary developer of wireless standards. Certainly,
7 OET is imminent in that area in lands and man
8 technology and others in other areas.

9 But one of the things we do is take those
10 standards and then apply them in consumer technology.
11 In fact, we have a program going on now in one of our
12 groups that -- it's kind of a two-phase program where
13 we're looking at how to compare the various wireless
14 land technologies against the needs of the consumer
15 electronics industry. So it's more of an analysis and
16 measurement approach.

17 These technologies are developed and
18 standards are created through a complex, sometimes
19 difficult, process. But what's interesting, seeing
20 how well they work, particularly, for things like
21 video applications. You'll probably notice we do a
22 pretty good job of IT applications, but we haven't
23 really addressed all the consumers connectivity
24 problems just yet.

25 We also, I think, if you look at our

1 industry and how things are done, and this certainly
2 aligns, I think, with what Pierre and Margaret said.
3 Our industry is on a constant search for these winners
4 and it's an expensive process for one and one that
5 they undertake in search of ongoing products to
6 introduce into the market. But what you'll see is
7 that, typically, new technologies emerge as separate
8 devices as you would notice with wireless land cards.
9 And then you get some integration in the platform as
10 we've now seen with laptops where it's integrated into
11 the platform. And then, ultimately, you get some what
12 I would call cross-over integration where you get, for
13 example, cell phones and Wi-Fi being integrated
14 together and that's an interesting phenomenon and one
15 we see repeated.

16 Now that does tell us certain things about
17 how we need to think in a regulatory sense. One is
18 that it's increasingly important for us to consider
19 global aspects. I think this is a point made before
20 that you have to sell a lot of things and markets are
21 global now, so we need to think about whether these
22 technologies can be deployed worldwide. It's very
23 important to be able to recoup the cost of the
24 technology and semiconductor development.

25 There are many failures and, for the most

1 part, we don't hear a lot about the failures and the
2 companies try a lot of different things before they
3 get the winners. And, actually, the FCC has done a
4 fantastic job of creating fertile ground for that
5 experimentation. The unlicensed devices are allowed
6 to operate on a non-interference basis and the work
7 that's gone on recently is very commendable. It's
8 kept us very busy, but it's great for us to see the
9 attempts to really open up spectrum and make it
10 available for consumer technology devices. Thank you.

11 COMMISSIONER ABERNATHY: Thank you very
12 much.

13 Now our last speaker is David Reeder from
14 Airspan Networks. He's the Vice President of Sales
15 and he does broadband wireless access equipment. It's
16 a key part of this entire puzzle. We can have all the
17 research. We can have all the spectrum. We can have
18 lots of equipment on the shelves and then it can just
19 sit there. So the next piece is, how do you bring it
20 to the consumer and how do you make it an integral
21 part of their daily lives? So thank you very much,
22 David.

23 MR. REEDER: Thank you, Commissioner.

24 I appreciate the opportunity to be here, of
25 course. Airspan Networks is a global supplier of

1 broadband wireless access equipment. We started in
2 1992, '93, predominantly dealing in the international
3 markets because, again, the spectrum question. We
4 have the majority of our products deployed in the 3
5 and 1/2 gigahertz internationally with some large
6 national deployments, mainly, being in the rural
7 markets again, fitting the need where broadband is not
8 met today in places like Ireland and New Zealand and
9 Asia Pacific and Africa.

10 We are excited to see our entire industry
11 grow rather significantly over the last few years. As
12 a public company, we're certainly watching and waiting
13 for the explosive growth opportunities and I think
14 we're starting to see that now. You know, projections
15 for our company are to be over 100 percent increase in
16 sales from last year. So we're very pleased to see
17 this growth in our industry now.

18 The challenge for our company has been, as
19 we've been focusing on international markets, is how
20 and when to break into the U.S. market? The challenge
21 of available license spectrum for broadband wireless
22 access, fixed wireless access has been one that we've
23 been working on and I applaud the FCC's efforts in a
24 couple of key areas. It's really helped us start to
25 break into U.S. One is the secondary market for

1 spectrum, allowing other folks to get a hold of that
2 spectrum and use it in the areas that they want. The
3 other idea is to use or lose it so we don't have
4 people just squatting on spectrum. That's really
5 initiated a lot of the efforts that we've been working
6 on deploying equipment into.

7 So the challenges that -- if I agree with
8 all the comments that have been said here and I don't
9 want to repeat. If I bottom line it for myself, in
10 our company, I see that, again, CPE cost and the
11 spectrum to work are the issues that we're dealing
12 with today as far as seeing this explosive growth.

13 We were very pleased to see the 700
14 megahertz license go to market and we took a very
15 aggressive stance in getting products to market very,
16 very quickly. And I would say right now that's the
17 largest driver from a product technology spectrum
18 perspective that Airspan has in the U.S. right now.

19 The challenges that we run into when we
20 start talking with operators about deploying broadband
21 wireless access are the balance between available
22 spectrum, unlicensed spectrum, say, in the 5.8
23 gigahertz where there's lots of good spectrum to use.
24 The challenge is being that the spectrum lends itself
25 very much to a line-of-site application. So the

1 desire to use some lower than 1 gigahertz, 900
2 megahertz, for example, is very, very high. We see a
3 tremendous desire to use that spectrum. We also see a
4 tremendous amount of interference when we try to start
5 to deploy in that spectrum. So the 700 megahertz
6 really kind of excites us and there is the issues of
7 licensed spectrum which the target market for Airspan,
8 historically, has been the telephone companies, the
9 traditional ILECS and the CLECS and R box, both here,
10 domestically, and around the globe. And the
11 challenge, of course, in the unlicensed space is can I
12 guarantee a long-term service in that unlicensed space
13 and what protection do I have and the challenge that
14 there are unknowns in terms of going forward and
15 investing in that infrastructure is hard for these
16 guys to swallow.

17 So the idea of opening up more spectrum in
18 the 700 megahertz band, just from a pure physics point
19 of view, lends itself, again, very well to very large
20 footprint and also non-line-of-site. Yes,
21 non-line-of-site can be done in the higher
22 frequencies, but, as we've already discussed, the
23 challenges increase rather dramatically.

24 So, anyway, Airspan is pleased to
25 participate in this discussion. We're members of the

1 Wimax Forum. We're very much pro-standard. So, Glen,
2 you can add us to that list of yours that you've got
3 going. And we see that moving towards 802.16, both
4 the D and E standards, the fixed and the mobile
5 standards and the Wimax Forum kind of pushing that to
6 market, we'll call it, not just be a technology
7 standard, but also pushing them to market, helps solve
8 that CPE cost issue and does help drive kind of the
9 spectrum problem in terms of -- I think the 802.16
10 body chose a very robust technology platform, the OFDM
11 platform that Guy mentioned, to get as many
12 technologies in the non-line-of-site environment as
13 possible. And, clearly, we're not going to see the
14 real explosive growth until we see very low cost CPE
15 that's in a non-line-of-site environment as Pierre
16 mentioned as well.

17 The truck roll is certainly doable and we're
18 working with lots of companies that are deploying that
19 model today. But, in order to get to the millions of
20 subscribers per network as opposed to tens of
21 thousands or hundreds of thousands as we have today, I
22 think those are some of the challenges that we still
23 have to work through.

24 COMMISSIONER ABERNATHY: Great. That gives
25 us a bit of a background of what folks seem to be

1 talking about today. It sounds like, if I were to sum
2 this up a little bit, more spectrum. Although, I've
3 never heard any demand for less spectrum. So, just
4 understand, that's terribly original, but more
5 spectrum and it sounds like both licensed and
6 unlicensed, interoperability, meaning global
7 standardization, mix and match equipment with the
8 recognition that we really are talking about a global
9 market, particularly, when we're trying to drive down
10 the prices of the equipment so that it's available to
11 more people, both urban and rural.

12 And then, finally, the cost of the
13 equipment, the CPE. How do you get the scale and
14 scope and how do you drive the technology in such a
15 way that you still recover all of the research costs,
16 but then you bring it down to a point where you can
17 really bring it out to large groups of users globally?

18 And I guess the first question I'd pose to
19 all of you is, how do we technologically -- we've been
20 trying to crack this nut for a while and it sounds
21 like we've jumped some hurdles recently. It sounds
22 like the equipment is new and we resolved some of the
23 problems where there was an off-the-shelf equipment
24 for some of the first users. And we saw three years
25 ago a number of folks headed down this path, a number

1 of them went under. There didn't appear to be the
2 robustness. The equipment didn't appear to be there.

3 What's happened over the last two to three years
4 that's made the difference? Where are we when it
5 comes to the technology, the viability of the
6 technology and the reliability of it that's really
7 changed, it appears to me, maybe over the couple of
8 years? And I throw that open to anyone.

9 MR. KELNHOFER: I'm going to try to answer
10 that. What do carriers want, and I believe David was
11 addressing some of those issues. But, if we're
12 talking about ILECS or even CLECS, why has the
13 technology changed? It's absolutely mandatory if
14 you're going to get this out into a large consumer
15 market, whether that be Soho or even medium
16 enterprise. But you have to be able to deliver a non-
17 line-of-site solution.

18 So what's the first key thing that changed
19 in technology? The actual ability to deliver true,
20 non-line-of-site, no truck roll, as I said earlier.
21 This is really ILECS major carriers want to see. They
22 want to eliminate truck roll. Well, it's gone today.
23 The need to have direct line-of-site, hence, the need
24 to put an antenna on the subscriber premise. Well,
25 that's gone today. That's also gone.

1 Secondly, the ability to deliver fixed
2 service, but the ability to deliver nomadic
3 portability. The ability to take a device not yet
4 embedded in the computer, but, hopefully, in the
5 future, as Margaret was speaking to, that would become
6 reality. But today, they actually take your device
7 and put it in your car, put it in your briefcase, get
8 in a plane, fly to another city if that service is
9 available. As I often remind my team, you can't tie
10 your cable modem to your car and down the road at 175
11 kilometers per hour. But you certainly can do that
12 with the technology that's available today.

13 So, from that perspective, I think those are
14 really the key features that have changed the
15 landscape. Thank you.

16 COMMISSIONER ABERNATHY: Margaret, maybe you
17 can add to the discussion. This idea of moving
18 seamlessly, are we there yet? Can we, in fact, move
19 from, say, a Wi-Fi network to wide area cellular
20 network or wireless to a wire land platform. I had
21 heard years ago, 10 years ago there is a vision of a
22 smug phone that would naturally seek out the lowest
23 cost reading and, if satellite was your only available
24 technology, it would go satellite. But, if it could
25 go cellular, it would seek out cellular or land line.

1 Are we there yet and how fast are moving in that
2 direction?

3 MS. LaBRECQUE: Well, I would say that we're
4 not there yet, but the efforts are in place to take us
5 there. And, actually, they've been in place for the
6 last several years. Intel and other companies have
7 been working to create a seamless infrastructure
8 between Wi-Fi and 3G, seamless hand-off, a common way
9 to authenticate users. We've been doing it through a
10 number of global standard bodies, including the ITU
11 and the IETF.

12 Now, when we talk about Wimax, the 3G, often
13 we're talking about what's known as the air interface,
14 which in the seven-layer network model, OSI model,
15 that's layers 2 and below. What we're talking about
16 when we're talking about a seamless roaming
17 infrastructure is abstracting layers 3 and above so
18 that any air interface, whether it's Wi-Fi, Wimax, 3G,
19 can bolt into a common infrastructure from roaming and
20 hand-off.

21 Now, locally, we saw this work between Wi-Fi
22 and 3G about three years ago. So we're on the way.
23 And it's our expectation that we will be able to bolt
24 Wimax into that same infrastructure. We certainly
25 wouldn't want a service provider who, perhaps, is a 3G

1 service provider for mobile voice and wants to add a
2 Wimax network for high-speed data, assuming you really
3 want them to have to have two billing systems. So I
4 would say that we're a few years off, but we're headed
5 in that direction.

6 COMMISSIONER ABERNATHY: Okay. Thank you.

7 Well, then that leads to the next question,
8 I think, for Peter and probably Brian and I think you
9 brought this up, is we'll have this very smart, very
10 useful equipment and then it won't work. So what do
11 we do about the training or the ability to take this
12 into mass market deployment to folks who don't have
13 the ability to take classes on how to use it or how to
14 fix it or how to make it work? And how do you develop
15 it in such a way that it becomes as friendly as, say,
16 a wireless phone that still today a lot of people just
17 use for voice because they haven't quite cracked the
18 nut about all the other services. And, yet, you want
19 them to want these other services. You want them to
20 start using all these other applications, but we need
21 it to work.

22 MR. de VRIES: Yes. I'll leave the training
23 comments to Brian. I think, in terms of the user
24 experience, the catch phrase that I hear amongst my
25 company is it just works. That's what we have to get

1 to. It's actually very hard to demo when it just
2 works because there's nothing to see. And so I think
3 the reason why we're talking about this is we're not
4 there yet. I think there's been a lot of work, and,
5 again, 802.11 and Wi-Fi has been a good test bed for
6 us. If you flip open your laptop these days, it's a
7 lot easier to just associate with the hot spot.

8 There's work being done between service
9 providers and software providers and hardware people
10 around how you can associate automatically with the
11 service provider of your choice. So those things,
12 ultimately, for the consumer, need to be part of a
13 invisible experience.

14 The other question, though, I think is, in
15 terms of "it just works" I think it touches on the
16 range of devices you mentioned or the uses you
17 mentioned, Commissioner, was it the diversity that is
18 going to be important here. One of the questions --
19 people say, well, what's going happen with all these
20 standards? The great thing about standards is that
21 there are so many of them.

22 (Laughter.)

23 MR. de VRIES: And I don't think that's
24 going to change because, increasingly, as we become
25 more sophisticated, we're trying to solve more and

1 more problems for customers of a whole variety of
2 sorts. But, at the same time, the requirements, in
3 terms of the spectrum, are diverse, too. And I think
4 what you may be hearing, at least, on this panel is
5 that we need a diversity of solutions. 700 is good.
6 It's not the only thing that's required. A higher
7 frequency spectrum is good, too, for consumers because
8 that's what you need to get capacity. If you want to
9 provide really high band width service, you need high
10 frequencies. But, in the same way that the cellular
11 companies, when they started years ago, started in
12 lower frequencies with a few towers serving a few
13 people and then moved to smaller cells, higher
14 frequencies. We need to do the same things in order
15 to provide affordable connected computing to
16 everybody.

17 MR. MARKWALTER: Nobody seems to be taking
18 up training here. And we've, I guess, just out of
19 need, and this has come up, both in discussions,
20 particularly, about HDTV and why people don't
21 understand it and what's happening to adoption. But
22 we see it in every part of our industry. And CEA
23 ended up creating online training, a facility called
24 CE Know How.com and it's targeted our retailers to
25 help train sales people to be able to explain the

1 things they sell. Manufacturers make a valiant
2 attempt at providing training materials into the
3 retail channel, but it's not sufficient in many cases
4 and the staff in some retail environments -- you know,
5 there's a lot of turnover. There's nothing new about
6 it and the products in technologies are just
7 tremendously complicated. You can't talk about the
8 things that make it all work and the consumer doesn't
9 want to know about it either.

10 We also do things related to what we call
11 take-home rating programs to help identify how ready
12 this mainly in the installer and information
13 technology home networking kind of market, but how
14 ready the home is to accept broadband and IT services.
15 But, you know, we're sometimes our own worse enemy in
16 this process of searching for winners. We go through
17 a lot and we may be a little bit of a victim of
18 Moore's Law in this case. We can do many, many things
19 in these platforms and very small device now and we
20 search around and some companies get it right.

21 And one of the interesting parts is that
22 manufacturers tend to reserve that area for themselves
23 and for their differentiation. We're full of
24 contradictions in our industry where we want standards
25 so that we can get enough volume to make the

1 semi-connector and deployment sheet, but we want to be
2 able to differentiate on what's left, which is
3 typically useability and user interface. So it's
4 never easy and we have a lot to do on training and
5 useability. I think our industry works hard at it and
6 it actually getting better at trying to cooperate on
7 the useability aspects of it.

8 MR. REEDER: Just a couple of quick comments
9 on that.

10 COMMISSIONER ABERNATHY: Sure.

11 MR. REEDER: As manufacturers, we use forums
12 such as the Wireless Communication Association where
13 they bring operators and vendors together to discuss
14 these kind of forums and these type of issues. And,
15 clearly, as a manufacturer you have to get your hands
16 dirty. You have to be involved in the deployments
17 over very large scale networks with tens of thousands
18 of subscribers to understand what those issues are in
19 terms of, okay, when this shows up in one's home, how
20 do they turn it on, plug it, use it? And so, the push
21 back from us I think very good. The communications
22 that we're getting back from the operators saying this
23 is what we need. We need your help to get there.
24 We're working on our part on the manufacturing side to
25 do that as well.

1 COMMISSIONER ABERNATHY: That's great. And
2 this then leads me to believe, based on everything
3 you're saying, we're working on standards. We're
4 working on equipment. We're getting spectrum out
5 there, yet, we continue read that, according to
6 various studies, that the U.S. is ranked relatively
7 low compared to other countries when it comes to
8 certain measures of international broadband
9 availability.

10 David, I know that you mentioned you've gone
11 into other countries and have only recently entered
12 the U.S. market, too. So how are we doing? Are we
13 really behind or are the measures just different for
14 the U.S. as compared to other countries? And, if we
15 are behind, what more can we do short of making it
16 free to everyone. Short of that, what more can we do?

17 David, why don't you start with that and
18 then I'd be happy to have anyone else jump in.

19 MR. REEDER: Sure. I mentioned we've been
20 kind of waiting to get in the U.S. market until about
21 a year and a half ago and some of the challenges were
22 spectrum. Some were technology. The U.S. market for
23 us, when we look globally, is so very unique in terms
24 of the customers. The networks need to be very
25 particular. They need to be very stable. We're

1 dealing in networks in locations in Africa, for
2 example, where there is not existing service at all.
3 So the quality of service or the need to have very low
4 priced communications to match DSL offering isn't
5 there. So we're bringing the very first
6 communications into some of these markets and the
7 demand and the appetite, frankly, for broadband is
8 rather overwhelming in those locations.

9 And so what we see in the U.S. is that the
10 rural markets are Airspan's focus for the U.S. The
11 rural markets also have this demand. I mean, Guy
12 talked about the issues in Iowa, for example, that his
13 company and their deployments are helping to address.
14 But we see the demand in those areas is very high.
15 But we also see that the expectations are very high in
16 terms of what type of service they get and how it
17 matches up with maybe some other competitive
18 offerings.

19 The economics here in the U.S. are very
20 unique as well compared to many other places in the
21 world in that, truck roll installation labor is
22 extremely high. In other places it's extremely low.
23 And, in fact, some operators prefer to roll a truck
24 because they get to go touch the customer and they get
25 involved there and it's really -- it doesn't add a

1 whole lot their total subscriber addition cost. But,
2 in the U.S. market, it's different from that
3 perspective as well.

4 What we're focusing on to help address this
5 problem is clearly through -- I don't want to beat
6 this drum too much, but, clearly, through the
7 standards process and seeing our products interoperate
8 with companies like NextNet and others that we can
9 drive cost down and we can see very flexible networks.

10 The other thing that we see is, from a
11 network perspective, people are choosing one frequency
12 and deploying there. They're taking platforms that
13 operate in multiple frequencies and using that
14 flexibility as much as possible. So now that we have
15 technology that can help address some of those
16 problems, I think we're starting to see that improve.
17 But, again, we still have these nuances of DSL prices
18 jumping between 30 and \$50 a month and the challenge
19 to deploy a fresh network from the ground up is hard
20 to address in those kind of markets.

21 COMMISSIONER ABERNATHY: Can you talk a
22 little bit about some of the price plans that you've
23 seen globally as compared to what -- we know what it
24 is here in the U.S.

25 MR. REEDER: Well, it's hard to say. We

1 have some markets in Japan, for example, where they're
2 offering pretty close to a megabyte per second
3 service, close to a T1 service for around \$30 a month.
4 And we've heard that there's government initiatives
5 in some countries to even subsidize the cost of these
6 networks to get things rolling. So we, as vendors,
7 are taking advantage of some of that and helping us
8 get to market and get some of our scale and get access
9 to large networks. But we see that -- it varies
10 rather significantly.

11 COMMISSIONER ABERNATHY: Would anyone else
12 like to comment a little bit about the U.S. versus
13 deployment in other countries?

14 MR. de VRIES: A few observations from
15 conversations that I've had. One of them is that, as
16 David pointed out, the U.S. has some geographic and
17 demographic peculiarities. Although, in other ways
18 it's similar to rural deployments everywhere. It
19 doesn't surprise that others have come into the
20 market, narrowing the U.S., once we have 700 megahertz
21 to operate. And, to your point, Commissioner, nobody
22 ever wants less spectrum.

23 If you offered me a trade between 10
24 megahertz at 700 versus a gigahertz at 60 gigahertz,
25 guess what I'd take? And so it's a question of what

1 the appropriate spectrum is. The other points, which
2 I think, perhaps, relates to this and it will be
3 interesting to hear what other companies have seen, is
4 the cost of back haul is sometimes an issue in rural
5 areas. That's something where wireless helps, too.
6 Now you can see that you have a combination of, let's
7 say, 5.8 unlicensed to back haul with 700 licensed of
8 four of the last mile is also something that will help
9 kick start this market.

10 COMMISSIONER ABERNATHY: Great. Thanks.

11 Anyone else want to chime in before we leave
12 this.

13 MR. KELNHOFER: I think that David covered
14 it very well. I mean, we're also deployed in a lot of
15 the same markets that Airspan is also in. I would say
16 this, there has been a lot of discussion -- obviously,
17 there's been a great deal of effort in the U.S. to
18 create a national broadband policy. In some respects,
19 I think we are a little bit behind other parts of the
20 world, including places that are even less developed
21 than we are.

22 I've actually, and I think David can confirm
23 this, I mean, we have been, as I said, selected for
24 national employment now three times. And, on a
25 comparable scale, if you don't get GDP, just any

1 demographic factors you want to look at, obviously,
2 the U.S. is somewhat ahead in both Mexico and Brazil.

3 But both of them seem really driving the national
4 policy at a faster rate than we are here and that's
5 not a criticism. I mean, we have a lot of challenges
6 and, as Pierre said, we also have some very big
7 peculiarities based on our overall geographic size and
8 so forth.

9 I think that the most important thing for us
10 is, again, access to spectrum. And I have very strong
11 concerns about unlicensed spectrum. We specifically
12 don't play there and Airspan doesn't play there
13 either. And, if you talk to people who have been in
14 the industry a long time and you really understand --
15 and really are RF junkies, so to speak, the issues
16 with having unlicensed spectrum permeate more problems
17 than they really create good service to the consumer.
18 It's like having no rules on the highway.

19 COMMISSIONER ABERNATHY: Although, what
20 we've heard is that there are parts of the unlicensed
21 uses that have clearly added value and that they can
22 be a piece of the solution, but maybe not the only
23 solution. And you're saying that you never see it as
24 a valuable way to allocate spectrum for the U.S. or,
25 given your business plan, you prefer license?

1 MR. KELNHOFER: Well, no. You're right.
2 Must be careful about generalizations. If you talk
3 about Wi-Fi or 802, that's a real success one, but
4 you're talking about a rather small sale radius. And,
5 if you try to expand that sale radius, then you're
6 really not delivering the non-line-of-site anymore.
7 If you're using 5.7 and 5.8 for back haul as part of
8 your solution to lower your back haul cost, that's an
9 excellent choice. If you're talking about going up
10 about 5.7 or 5.8 or anything really above 3.5 and try
11 to play a non-line-site solution over a wide area,
12 over a man, then you're talking about some pretty
13 severe economic penalties and some pretty severe lost
14 characteristics at that frequency range.

15 COMMISSIONER ABERNATHY: Okay.

16 MR. REEDER: Can I just make one other
17 comment here?

18 COMMISSIONER ABERNATHY: Sure.

19 MR. REEDER: We are seeing very successful
20 unlicensed networks being deployed, too, as well. So
21 I agree, clearly, the operators always prefer licensed
22 spectrum if they can it and if they can get at the
23 right price. But the good news is that we're seeing,
24 again, a variety of frequencies used, whether it's
25 unlicensed for back haul or even, say, unlicensed for

1 data applications and use your licensed spectrum for
2 that higher, sensitive communications like voice
3 applications or security applications. I don't want
4 to, certainly, short change the hundreds of networks
5 out there deployed in the unlicensed band.

6 COMMISSIONER ABERNATHY: Okay.

7 MR. de VRIES: I'd like to echo that comment
8 because it seems to us as if unlicensed can be an
9 interesting lever. It allows people who are trying to
10 deploy to operate in both licensed and unlicensed,
11 obviously, the trade off that you have is that in
12 unlicensed you have interference protection, but no
13 more barriers to entry. On the other hand, if you go
14 licensed, you have much better protection, but you
15 have to fork out up front for the spectrum. And so,
16 again, the mix of the regimes seems to us to be very
17 useful.

18 It's interesting that people who are
19 actually offering a service in license can use
20 unlicensed as well as anybody and probably better.
21 Now there is the issue that Guy raised about
22 interference. And I think that one looks at the rules
23 that we have and will continue to have in 2.4 and in 5
24 and so on, there are issues with interference. There
25 are activities going on in various standards

1 organizations, industry organizations, looking at
2 coexistence between various different systems that are
3 operating in unlicensed bands.

4 And, if we're looking at low frequency uses,
5 let's say 700 with unlicensed, it's going to be
6 necessary to have spectrum rules showing etiquettes,
7 for example, that allows systems to coexist without
8 prejudging what the technology is that people want to
9 build and implement.

10 COMMISSIONER ABERNATHY: Well, that's the
11 perfect opportunity to segue into some of the
12 challenges on the standards front. But, before I move
13 in that direction, I wanted to see if there's anyone
14 from the audience who'd like to ask some questions of
15 our panelist?

16 Please go over to a microphone. I think
17 this is being streamed.

18 AUDIENCE MEMBER: Thank you, Commissioner
19 Abernathy. Thank you, panelists.

20 The first thing I want to do is take just a
21 second to thank all of the panelists on behalf of my
22 colleagues on the executive committee of IEEE 802 for
23 the wonderful pitch for our standards that they've
24 made here today and the value that they provide.

25 I also wanted to just mention that we're

1 looking at a new standard related to the IMRM that the
2 Commission just adopted last Thursday for the sharing
3 in the T.V. band, using cognitive technologies for
4 regional area networks. And the question that I have
5 is sort of twofold.

6 One is, you know, there's mention of the
7 interference issues if you're operating in the
8 unlicensed mode and that, to me, sort of begs the
9 question of what about the concept of some unlicensed
10 spectrum for certain uses that doesn't become a food
11 fight, as it were, amongst all sorts of different
12 applications and still reduces the cost of entry for
13 people that want to provide broadband services?

14 So I'd just like to kind throw that one out
15 for comment from the panelists in terms of whether
16 unlicensed with some limited set of applications
17 permitted in that spectrum, encouraging standards for
18 interoperability and coexistence. Would that be a
19 better play in the view of the panelists for some of
20 these applications?

21 COMMISSIONER ABERNATHY: Margaret?

22 MS. LaBRECQUE: Well, recently, in the Wimax
23 Forum, we've gone around the globe speaking with
24 regulators and some of them like to use the term
25 "light licensing" to refer to, I believe, what the

1 gentleman has brought out. And where there is a
2 strategic need, say, to deploy broadband access in low
3 population density areas, rural areas, if that's
4 really a strategic objective for the regulator, then
5 this might justify this form of light licensing.

6 MR. MARKWALTER: I'd like to comment. We've
7 looked at that. We looked very carefully at a lot of
8 the activities coming out your spectrum taskforce here
9 at the FCC and, in our mind, it's way hard to prejudge
10 applications and even technologies. Hardly anybody
11 gets it right the first time and that's what's been so
12 economically productive about unlicensed is that it's
13 brutally efficient at searching for the best users and
14 best technologies.

15 So we are -- I guess, the way we've put it
16 is that if there are rules that are necessary to get
17 access to spectrum that we otherwise would not have
18 gotten because you need to protect some existing
19 services, that makes sense. And, beyond that, it's
20 difficult to see that it's helpful to try to guess
21 what applications are going to be winners.

22 And, to be honest, there's not been that
23 much of a tragedy of commons, I think. I think we're
24 still somewhat self-healing because as uses go up,
25 people can pour money back into the technology and

1 more efficient protocols and more efficient
2 implementations. So we're a little bit hesitate to
3 prejudge and say there need to be certain rules to
4 allow use of spectrum.

5 MR. de VRIES: The uh --

6 COMMISSIONER ABERNATHY: Go ahead. You want
7 to go ahead and walk up to the microphone while
8 Pierre's speaking? Good.

9 MR. de VRIES: The regulators, I think, are
10 most effective when they focus on ends and not means.
11 And the FCC, this Commission, I think, has been very
12 cognizant of the fact that the requirement is to look
13 at what the outcomes are rather than specifying the
14 way in which the outcome is achieved. So, when
15 there's a suggestion of saying, well, we need to have
16 particular services optimized for unlicensed or
17 license exempt, I get a bit nervous because it begins
18 to smack a bit of command and control to me.

19 However, I can see a case that one could say
20 there's a category or a set of things which, at this
21 moment, we believe is important. So, for example,
22 let's say wireless, two-way data services, which
23 doesn't prejudge the kind of service. But, it can
24 well, let's say, well, if we're going to have these
25 wireless, two-way data services at low power where

1 there's not a lot of spectrum and it will propagate,
2 what are the kinds of rules that one needs.

3 I believe that one can actually get to an
4 outcome which is light enough to allow innovation, but
5 strong enough to actually give users of the technology
6 some guarantee of a liability.

7 COMMISSIONER ABERNATHY: Yes, sir.

8 MR. KLANSI: Good morning. I'm Andy Klansi.
9 I want to shift gears for a second and ask about
10 training. One of the things I've noticed in this
11 Commission is the lack of some representation from
12 universities and academia. And, speaking about
13 training, I can remember back a few years ago the
14 adage that, in the cellular industry, they had
15 difficulty because no one knew RF. And I think the
16 comment was there was no formal training in RF in any
17 colleges in North America or very few. I think there
18 were a couple of college in Canada.

19 So what do you say on the panel about
20 bringing the technology forth, but also bringing the
21 academics and bringing the universities in to train
22 people. Train people in the truck rolls. Train
23 people on how to use spectrum. I mean, how many
24 people -- I'll just ask about training. How many
25 people's VCRs and DVDs still flash 12:00? Think about

1 for a second. Now that's a technology that we all
2 have and use, but we use it.

3 But, taking it further, what's going on, on
4 the university side, to train, to teach the technology
5 and to then drive the technology forward?

6 MR. KELNHOFER: I can tell you some of the
7 things that we're trying to do. I mean, we've
8 actually instituted them. You're right. There's a
9 bit of a dearth in terms of good universities turning
10 out topnotch RF engineers. You'd be surprised.
11 They're not the better known schools that are actually
12 today turning out the best RF engineers.

13 Network engineers, no disrespect to the
14 software people, but network engineers are more
15 prevalent. I'll just leave it at that.

16 One of the things that we're doing -- I want
17 to answer your question -- at least, one part of your
18 question in terms of how do you track good talent is
19 we actually initiated a scholarship program with one
20 of the universities. And what we specifically do is
21 we call it a Grow Your Own Program. What we
22 specifically do is we go out and we look for talent,
23 usually in the junior year, and we offer them a
24 scholarship, plus an internship over the summer that
25 is actually sufficiently, not only to pay their

1 tuition and books, but to give them a bit of extra
2 funds so they can focus completely on their
3 engineering program. And that goal is that we nurture
4 them into our organization and into our specific
5 needs. And, at the end of that, I've always said,
6 yes, as far as taking a job. So that's what we doing,
7 at least, in that respect.

8 MR. REEDER: I know there's several
9 programs. The University of Colorado, for example,
10 has a very good telecommunications program. Virginia
11 Tech, as well, I believe. So I know there are some
12 programs there. I can speak a little more directly of
13 the University of Colorado. I'm a graduate of the
14 Masters Telecom program several years ago and I know
15 the challenge has been placing graduates into telecom
16 companies. I mean, the last few years has been rather
17 tough, so they are focused, I think. I think there
18 needs to be more dialogue with industry, saying,
19 here's where we're -- the direction we're headed and
20 make sure the programs are oriented towards that and
21 not necessarily just catching up.

22 COMMISSIONER ABERNATHY: Okay. Why don't we
23 take one more question from the audience.

24 AUDIENCE MEMBER: Steve Stroud. I'm
25 curious, Mr. Kelnhofer, that there's been a number of

1 metropolitan area deployments, entire zones of
2 unlicensed wireless and entire cities are spending
3 their budgets wiring their cities as an economic
4 development measure and, yet, they're choosing to use
5 license exempt spectrum.

6 My observation is largely they're doing that
7 because they can't get licensed spectrum. They can't
8 get access to licensed spectrum. It's yet another
9 license spectrum. It's yet another "Mother, may I"
10 with "would you please deploy in our area." And,
11 well, we'll get to it when we can when decide you're
12 an important enough market just like the cable
13 companies and the telephone companies have done.

14 So they're choosing to take their destiny
15 into their own hands because they can with licensed
16 exempts. They don't have to get permission. They can
17 go and do. I'd like to get the panel's impressions on
18 that.

19 MS. LaBRECQUE: I wanted to comment earlier
20 that, in fact, I think the U.S. has been a leader in
21 speaking with system manufacturers, the overwhelming
22 majority of equipment license of sound is in the U.S.
23 I don't know the exact number. I've seen one of the
24 leading wireless ISPs in the audience here and
25 probably others. But I know that there were over 2500

1 wireless ISPs in the U.S. serving over 6000 markets.
2 So, in theirs, we believe that getting the portable
3 cell phones to all is extremely important to
4 expressing growth and getting it into this laptop is
5 the next step after that.

6 I spoken with retailers who have said to,
7 you know, Margaret, we deploy satellite dishes all
8 day long -- you know, the outdoor subscriber station
9 is not a problem for us. And what you're telling me,
10 in addition, is that it's more expensive. It
11 increases their revenue. I mean, that's not a benefit
12 for the consumer but for the retailer and they can
13 charge more on a monthly basis because the outdoor
14 subscriber station will get better, in general, than
15 an indoor subscriber station and that's why it can be
16 used for a business back haul, for example, back haul
17 enterprise of a thousand users or an entire area full
18 of hot spots.

19 So, I guess, to Steve's comment, I would say
20 I believe it viable for deploying broadband access.
21 And I believe this fulfills our vision of ways of
22 being able to be anywhere and to get connectivity.

23 MR. REEDER: A quick comment. Somewhere
24 around 80 percent of our revenue in the U.S. this last
25 year was in the license exempt band space and we also

1 have examples outside the U.S. In the 2.4 gigahertz
2 band we have network deployed of about 30,000
3 subscribers in an urban deployment all in the
4 unlicensed band, so it can work.

5 COMMISSIONER ABERNATHY: I'm going to go
6 ahead. We're going to have to bring this to a close.
7 I want to thank all of our panelist as well as all
8 the people in the audience for participating. And,
9 more specifically, I want to thank Joe Muleta and his
10 team in the Wireless Bureau for putting together this
11 forum. For those of you who have ever tried to
12 assemble folks for something like this, it's a huge
13 task. It requires a lot of flexibility. It turned
14 out great and I want to thank them and all of you.

15 (Applause.)

16 MS. SEIDEL: Thank you,
17 Commissioner Abernathy and thanks to each of our
18 panelists for such an interesting discussion and also
19 just for taking the time to be here with us today. We
20 know you are all very busy, so thank you.

21 We have time now for about a 10-minute break
22 if everyone would just be back in their seats at 11:15
23 that would great and we'll start with our second
24 panel. So thanks to everyone.

25 (Recess.)

1 MS. SEIDEL: We're begin with our second
2 panel.

3 I'd like to introduce Commissioner Jonathan
4 Adelstein, who will be moderating the panel and I
5 would like to welcome each of our second panelists.
6 Thanks.

7 COMMISSIONER ADELSTEIN: Thanks. I hate to
8 interrupt all the great networking going on up there.
9 That's probably more valuable. There was a great
10 buzz in this room. We have, obviously, hit upon an
11 issue of huge important by recognizing the turnout
12 that we have here and the level of interest and the
13 great participation that we had in the first panel.
14 So thank you all for coming to participate. This is
15 great and thank you for the introduction.

16 We have an outstanding list of panelists
17 there today that are going to tell us about these
18 business strategies for getting this wireless
19 broadband going. It's a real exciting panel I think.

20 I think accelerating deployment of broadband
21 services has been a real focus of this Commission and
22 certainly a focus of mine since I got here. I
23 personally believe that broadband services had the
24 potential to transform people's lives, to transform
25 communities and there's such a huge difference,

1 especially, in rural areas, but in all parts of the
2 country to provide an alternative and competition.
3 And we're seeing just the tip of the iceberg in the
4 explosion of services that's going to be
5 revolutionizing how we look at broadband, I think,
6 based on what we're learning here today and we're
7 hearing some great stories.

8 The Commission is going to do its best to
9 extent these wireless technologies, both licensed and
10 unlicensed to Americans, whether they live in urban
11 areas or rural areas. We want to get as much
12 information flowing over the airwaves, as much data
13 flowing over the airwaves as possible. I think that's
14 our mission here at the FCC.

15 What a really diverse group of panelists,
16 but one thing that they have in common is that they've
17 been successful in deploying wireless broadband
18 networks, at least, they've found a successful
19 strategy for offering wireless broadband. So let's
20 learn what lead to their success, maybe what some of
21 the pitfalls might be along the way and we also want
22 to hear from the panelists on the current state of
23 wireless broadband and what they see in the future for
24 both licensed and unlicensed to our wireless broadband
25 services.

1 So I'm going to first introduce the
2 panelists. We're going to give you each about five
3 minutes to give your prospective on the wireless
4 broadband industry. And, after the final
5 presentation, we'll open the floor to questions. I
6 can read off some questions now, but I want to
7 encourage everybody to really get involved and to get
8 a good dialogue going and also have a dialogue amongst
9 the panelists themselves.

10 So I will introduce everybody randomly and
11 we'll start from that end with your presentations.
12 But I'll start introducing from this end, Mike
13 Anderson, who's Chairman of the Part 15.org, Licensed
14 Exempt Internet Service Providers Organization. Mr.
15 Anderson also serves as the Chief Information Officer
16 for Prime Directive Quick Link, PDQ Link, and is
17 responsible for overseeing all wireless technologies
18 deployments for the West. Mr. Anderson is also the
19 finder of the Wireless Internet Service Providers
20 Conference or WISPCO.

21 Paul Berriman is the Senior Vice President
22 of Strategy and Marketing of PCCW, Ltd., one of Asia's
23 leading integrated communications companies. He leads
24 teams of experts who perform an important role in the
25 strategic direction and product technology of the

1 company. Most recently, he lead the fix and wireless
2 broadband projects in Hong Kong and in the U.K.

3 Our next panelist is from Nextel
4 Communications, Atish Gude. Mr. Gude is Vice
5 President of Strategic Planning and Corporation
6 Strategy for Nextel Communications. He's responsible
7 for developing strategy and access for Nextel's
8 overall strategic and competitive positioning. Prior
9 to joining Nextel, he was Senior Manager at the Rice
10 Consulting Telecommunication Strategy Practice.

11 Next we have Doug Sobieski from XO
12 Communications. Mr. Sobieski is Vice President of
13 Broadband Wireless Service at XO Communications. He
14 oversees the commercialization of the company's fixed
15 broadband wireless services and filing successful
16 trials in early 2004 in southern California. XO has
17 initiated plans to rent out these services nationwide.

18 We have Bill Stone with us from Verizon
19 Wireless. He's the Executive Director of the Network
20 Strategy for Verizon Wireless. Bill is responsible
21 for advanced technology planning, including the
22 deployment of the company's third generation data and
23 voice networks. Under his guidance, Verizon Wireless
24 conducted several broadband wireless technology
25 evaluations, including NDDA technology trials which

1 have culminated wireland service right here in
2 Washington, D.C. as well as in San Diego.

3 We have Richard Wong here from Openwave.
4 Mr. Wong is General Manager of Openwave, which is the
5 leading independent provider of software products and
6 services for the communications industry, including
7 wireless operators, broadband providers and device
8 manufacturers worldwide. Mr. Wong leads the business
9 direction and management of the messaging and
10 applications team at Openwave. And we're glad to have
11 such a great group of panelists here. Maybe we'll
12 start down there and, if you could give us that over
13 for five minutes, we'd appreciate it.

14 MR. WONG: Good afternoon or good morning, I
15 guess it is still. My name is Rich Wong. I'm
16 responsible for a software company called Openwave
17 where we sell almost exclusively to the service
18 provider community. So we have people like Verizon
19 wireless, PCCW as customers. So we come out here, not
20 as much as a service providers, but as one that
21 services almost substantially a majority of the
22 wireline and wireless players.

23 At a personal level, before coming to
24 Openwave, I actually did work at a company called
25 Kodak Communications that many of you know was one of

1 the larger independent DSL companies. So I have some
2 experience in the broadband world, at least, from the
3 wireline experience.

4 Just in terms of some opening comments
5 around the state of wireless broadband, I would say
6 that we're in the very early stages of the secular
7 growth of wireless broadband, both from a Wi-Fi, Wimax
8 arena as well as 1X in the case of Verizon and Spring
9 as well as people like Cingular or T-Mobile renting
10 out GPRS.

11 For those of you that have studied the
12 broadband industry for a while, I would analyze it to
13 the broadband DSL industry probably in the 1997, 1997
14 timeframe. If you think about that timeframe, most of
15 you -- there were a few of you back then who had
16 broadband access. You knew they were very rich
17 because you had a T-1 line or probably had a medium to
18 slowish ISDN model at the time or you were one of the
19 people first discovering the internet for AOL or
20 Prodigy.

21 And so I would submit to you that the state
22 of the industry today in wireless broadband is in that
23 similar state. You have some regions around the world
24 who have still actually broad scale access to this.
25 San Diego, for example, has, through 3G, launched

1 right now. And you have people like T-Mobile and
2 Starbuck's and Red Carpet Clubs around the country
3 having Wi-Fi capable. So I think there's a lot of
4 growth in the market over the coming few years and I
5 think we're just at the early stages in that.

6 The primary limiter to growth, in my
7 opinion, of at least the 3G services and folks like
8 Bill and Atish have a better view than I do, is about
9 what are the real applications running on wide area
10 3-G networks. Is it photo-messaging? Is it
11 video-messaging? What are the types of services?
12 That is the question that is yet to be answered.

13 COMMISSIONER ADELSTEIN: Thank you.

14 Bill?

15 MR. STONE: Thank you, Commissioner
16 Adelstein. I am Bill Stone. Commissioner Adelstein
17 already gave you the background. I'm with Verizon
18 Wireless Service Provider. The largest service
19 provider here in the U.S. market, currently, providing
20 service to roughly 40 million customers.

21 I started in the industry back in 1988. I
22 have held positions in network engineering,
23 operations, system performance. Currently, I hold a
24 position in our headquarters organization responsible
25 for long-term technology planning. Let me just start

1 out by saying that from my perspective, the existing
2 policy for CMRS, the flexible, exclusive use licensed
3 policy is one of the drivers -- there's been a lot of
4 talk about a license today. I'm certainly not saying
5 that unlicensed doesn't have its place, but the
6 certainty associated with licensed spectrum is one of
7 the key components driving wireless broadband and
8 certainly driving Verizon Wireless.

9 We've had great success. You can't argue
10 with the success that the CRMS industry has had today.
11 Currently, in the U.S. market, we're serving over 125
12 million customers. We're generating tremendous value.
13 An economic study done by Hazlet & Spitsor indicates
14 that the CRMS industry is generating over \$80 billion
15 in consumer surplus annually. So the existing policy
16 works. I think that's a key message and it's one of
17 the key drivers and one of the reasons why Verizon
18 Wireless is moving into to wireless broadband.

19 In addition, the existing policy provides an
20 economic incentive for us to use our spectrum very
21 efficiently. We have to pay for spectrum at auction.
22 We're incented to put it to very efficient use. If
23 you look at the CMRS industry, historically, depending
24 on what study you reference, spectrum efficiency over
25 the last 10 to 15 years has increased on the order of

1 1300 percent. I actually read a CTI report right
2 before I came up here that indicates that since 1990,
3 on a per megahertz, per square kilometer basis, the
4 CRMS industry has increased by 70 times the number of
5 customers we're providing service to today. So we are
6 making very efficient use of our spectrum and we are
7 incented to do so.

8 In addition, new technology investment or
9 the opportunity to raise capital -- that's one of the
10 keys here, to raise capital and the certainty with
11 licensed spectrum enables us to go to the capital
12 markets and raise the capital we need to move forward
13 with significant investments in new technology that
14 enable new services to meet customer demand. So
15 existing policy enable us to react to the demand in
16 the marketplace and the key linkage here is that it
17 enables us to raise the funding we need to move
18 forward with wireless broadband technology, which
19 brings me to EVDO.

20 Verizon Wireless, as Richard pointed out
21 earlier, offer 3G service today in San Diego and
22 Washington, D.C. I encourage you to stop by the
23 demonstration room, check it out. We offer service
24 across a large geographic area in both Washington and
25 San Diego. We have committed to a significant

1 investment over the next two years, around a billion
2 dollars. Actually, we've committed to exactly a
3 billion dollars to propagate EVDO technology. We
4 market it under the service name Broadband Access to
5 many more markets across the country.

6 I'll tell you more about EVDO when the panel
7 gets started, but suffice it to say the existing
8 policy that Commissioner Adelstein and the FCC has
9 used to date works, allocate spectrum, allocated for
10 licensed, unlicensed, both. I'm here to represent the
11 licensed community today as you can tell, auction it
12 and get out of the way and let the market drive
13 technology deployment. Thank you.

14 COMMISSIONER ADELSTEIN: Thank you, Bill.

15 Mr. Sobieski?

16 MR. SOBIESKI: Thank you. XO is a national
17 local exchange carrier. As part of that, we're also
18 the largest LNDS or fixed wireless spectrum holder in
19 the United States. We have over 100 licenses that
20 cover more than 170 million people. The licenses
21 average about a gigahertz a spectrum. So we have a
22 lot of spectrum. Those licenses are deployed in 75
23 FCC defined marked places, which would include 95
24 percent of the top 30 markets in the United States.

25 Those license are complimented by the other

1 assets XO brings to the table. We have approximately
2 37 metropolitan markets with fiber line services, both
3 voice and data services as well as robust inner-city
4 network that provides IP and TTM services.

5 Deployment of IP enabled broadband wireless
6 its key to our future. So what are strategies?
7 Providing IP enabled wireless services to provide a
8 wide range of data services that leverage our assets,
9 provide competition for the last mile to solve the low
10 speed restrictions where cooper line services are only
11 available, to partner with carriers to maximize the
12 consumer value and to partner with manufacturers to
13 expand the product set available in the spectrum band.

14 We've had some successful trials. What
15 feedback we're getting from them? The consumer really
16 like the fact that it is true broadband service. The
17 quality has exceeded their expectations. The
18 deployment intervals have met or exceeded their
19 expectations and we've seen strong market demand for
20 the pricing points we've set in mark places. What do
21 we see out there? We still see competitive services
22 creating downward price for convention services. We
23 see that IP enabled access networks are facilitating
24 new services that are creating new values in the
25 marketplace.

1 What have we learned? Build it and they
2 will come, obviously, did not work. Vendor
3 investments and dependencies are not sustainable. We
4 need to provide the marketplace incentives for
5 manufacturers to create technology in this spectrum
6 and we encourage use of standards as a way of
7 encouraging a wide range of manufacturers to be
8 involved.

9 I think we need to look at the paradigm in
10 which manufacturers and service providers work with
11 each other. We need to figure out how to make us both
12 share in the risk and reward of rolling out these kind
13 of technologies in the spectrum. We believe that the
14 public interest is best served by partnering and the
15 spectrum we've seen only provides marginal
16 opportunities.

17 What do you think we have to do on a going
18 forward basis? I think we need to form a vision
19 within the industry and in the regulatory bodies that
20 LNDS is a tremendous opportunity for future IP-based
21 platforms. We have to make it so that we can line up
22 our spectrum with our operating units. So that would
23 allow us to exchange spectrum between licenses to
24 leverage the assets each of the licensees bring to the
25 table.

1 We need to have access to SUF funds in the
2 rural areas. We cover a tremendous amount of the
3 rural areas. Wireless is viable alternative to those
4 areas. We need to have the same access other wireline
5 carriers are provided and we need to ensure that we
6 have regulations associated with the wireless
7 environment that are similar to that of the broadband
8 network providers. Thank you.

9 COMMISSIONER ADELSTEIN: Well, thank you
10 very much. Atish?

11 MR. GUDE: Thank you, Commissioner
12 Adelstein.

13 First of all, let me thank you for the
14 opportunity to be here to learn from and contribute to
15 this great forum because I think this is a starting
16 point of a discovery process related to broadband in
17 general and, specifically, wireless.

18 My name is Atish Gude and I am the Vice
19 President of Strategic Planning at Nextel. Let me
20 start out by talking a little bit about Nextel. A lot
21 of people think that Nextel started on the basis of a
22 fundamental technology that we called "push-to-talk."
23 Let me put forth a slightly different suggestion that
24 what Nextel really tried to do was to understand and
25 serve a specific customer need years ago in the

1 dispatch community. And, as that customer grew to
2 interconnect services, we offered interconnect with
3 direct-connect, push-to-talk services and that's
4 fundamentally what Nextel has been built on to really
5 serve a customer need.

6 I think that's important because, after
7 considerable research and planning, earlier this we
8 launched a wireless broadband service trial in
9 Raleigh/Durham, North Carolina for two primary
10 reasons. The first reason was, obviously, to evaluate
11 this OFDM technology provided to us by a company
12 called Carion, evaluate the technology. But the more
13 important reason is, is the second, which is we really
14 wanted to understand customer demand, customer usage,
15 usage and behavior. And the reason for that is to
16 develop a well-thought-out, go-to-market model that
17 would help bring these kinds of new services to the
18 market.

19 So we're on a discovery process. This
20 service is aimed at, not only business users, but also
21 individual purchase decision-makers, home users,
22 people who want to use the service on the road, and we
23 are learning a tremendous amount already, but would
24 not suggest that we're at the end of that learning
25 process.

1 A couple of things that I would like to
2 suggest from our learning process. The usual
3 hypothesis or question we had was, wireless broadband,
4 what's the value proposition. And, so far, what we
5 are finding is that that value proposition is not
6 tremendously different than the value proposition that
7 wireless, cellular brought to the market with respect
8 to wireland. Our customers there are telling us that
9 what they value -- one of the first things that they
10 value is the ability to be freed from a specific
11 desktop, freed from time and place. That concept of
12 mobility rings very well in taking internet access
13 away from the desktop.

14 The second value proposition is, again, not
15 unlike what cellular voice services brought to the
16 market with respect to wireland and that is the
17 concept of having access to where a wireland has not,
18 could not or, perhaps, even will not build out to.
19 And then, again, that issue is related to
20 fundamentally being connected.

21 And the third value proposition that we are
22 recognizing, based on the questions that are customers
23 are starting to ask us, is the proposition of enhanced
24 services, new services that would go hand-in-hand with
25 broadband and that brings us to a fundamental

1 conclusion, or the start of one, that I think many
2 people recognizes is that broadband is just a highway.
3 It's a highway for voice, video and data services
4 period. Wireless is just a mode of transport.

5 Now one of the hypothesis that we are
6 starting to develop, based on what our customers are
7 telling us is that there is a requirement for voice.
8 There's a requirement of video. There's a requirement
9 for data and all of the cellular type of services that
10 go hand-in-hand with wireless service. But, in the
11 same context that wireless and wireland coexist today
12 in a business as well as in a home, we are starting to
13 build some thinking that would suggest, while
14 intermodule competition, wireless broadband and
15 wireland broadband may exist, at some point, the
16 higher order of value proposition is intermodule
17 services and wireless broadband just provides a
18 highway for a lot of services and applications.

19 I think we still have a lot of research to
20 do, but that is a very interesting concept that we are
21 starting to learn from, from our customers and,
22 hopefully, this forum will, perhaps, start to discuss
23 those kinds of issues of intermodule services rather
24 than just talk about the intermodule competition.
25 Thank you.

1 COMMISSIONER ADELSTEIN: Thanks a lot. Paul
2 Berriman?

3 MR. BERRIMAN: Good morning and thank you,
4 Commissioner.

5 I guess I'm more interested in the U.S. at
6 the moment. I'm just here because John asked as an old
7 friend if I'd come and tell you how we're finding it
8 as a new operator overseas.

9 PCCW is the incumbent fixed operator in Hong
10 Kong. We currently have about 3 million telephone
11 lines. Because of the small topology of Hong Kong, we
12 can deliver a 6 megabytes broadband and EDSL to about
13 91 percent of the lines in Hong Kong. So we've been
14 able to really experiment with what can be done with
15 demands are for broadband when its a variable and in
16 sort of dimensions. We did all of that for about \$35
17 U.S. dollars amongst customers.

18 The whole thing is a very competitive
19 market. We have five, six mobile operators, about 15
20 of these various fixed operators and they are leaving
21 with our market share. So what we've been doing in
22 Hong Kong is defend the market there and we have some
23 innovative broadband T.V. services and are the leading
24 ISP in Hong Kong. So we've had to leave out of Hong
25 Kong to grow. And, obviously, we didn't have any

1 facilities in the environment in any other places, so
2 we believe that broadband wireless is ranging for
3 growth for us.

4 About two years ago we started playing
5 around with the technologies and we found that the
6 site prototype technologies will rapidly starting to
7 mature, so we started to look for spectrum around the
8 world and, in that respect, we were looking for
9 licensed spectrum. I don't think we need to invest or
10 available to invest in unlicensed network unless it's
11 spectrum networks, apart from the hotspots that we
12 have to provide in Hong Kong. Now we have about 250
13 hotspots.

14 So we found the new support regulatory
15 environment, the transparent regulatory environment,
16 the legal environment and such were most opportune for
17 us was a 3.4 gigahertz license in the U.K. Now we
18 recognize that 3.4 is at the upper limit of the non-
19 minus site spectrum, but, at least, in this particular
20 situation, it's a very clean spectrum and we were able
21 to, I think, catch the market with its trousers down.
22 We got the national license for \$14 million U.S. in
23 total for about 40 megahertz a spectrum. So, in that
24 respect it was good.

25 But the main driver is, in fact, as we

1 looked around the world, we were looking for
2 penetration of broadband and the U.K. is a very good
3 example where you have 55 percent of household with
4 dial-up internet or access, but less than 10 percent
5 with broadband access and, even then, the government
6 there has tried to make it look better by allowing
7 ADSL and 512 to be classed a broadband, which we
8 don't, given our situation, we see that and the
9 competition is pretty poor in reacting to broadband in
10 the U.K. So we saw that made it vastly for the fact
11 that we were going to have to put in a lot more cell
12 sites than you would do at 700 megahertz, for
13 instance.

14 We decided that our major proposition was to
15 go hit ADSL head on with an online of site
16 proposition. So, once we got the license, we were
17 given approval to get out there and do a soft launch
18 in the Thames area of the U.K. and covering about
19 400,000 houses.

20 In terms of the technology, as I said, we've
21 been looking at various types of technology, but we're
22 still not satisfied that we have the standards that we
23 need to warrant how we go forward international roll
24 out, so we're still treading cautiously. We've
25 actually put in a few different technologies at this

1 point in time. We use IP wireless to get started.
2 But, in our RFPs for international roll out, we're
3 planning more to providing where we are successful
4 with the initial launch. We really see some migration
5 capabilities in what we may move towards a standard
6 and Intel is one of the investors in PPC data and we
7 will continue to have dialogues about Wimax with them
8 is one potential.

9 So that's really all on the technology, but
10 one of things that is for sure, for that standard, so
11 we'll have to get out there and do something now and
12 we'll go forward with these two technologies and,
13 hopefully, we launched -- in about 300,000 homes. The
14 whole cost is about \$40 million for that. We launched
15 about three weeks ago now and the results have been
16 pretty good.

17 In order to facility the fast roll out,
18 we've used all of our network facilities in Hong Kong,
19 so the billing systems, the customer care systems, the
20 web platforms, they're all based in Hong Kong to give
21 us another roll out and we've been using companies
22 such as ATM Crown Castle for the line-of-site
23 acquisition, which is very much the critical path of
24 the whole project.

25 And, in terms of selling, we're selling to

1 full-party retailers, call centers and online internet
2 service. I think that's 70 percent of all broadband
3 in the U.K. sold to the internet. The customer
4 proposition is broadband-to-go and there is some
5 relatively new work. Some of the propositions that we
6 offer a customer -- the modem is delivered in 24
7 hours. I think over the internet or, if not, bought
8 in the shop and they can be installed in three
9 minutes. It's portable within the home. It doesn't
10 need a phone line. We give them a one-month free
11 trial and it's good value for many of the 512 cable
12 service we offer as 18 pounds, which is about \$30 and
13 we think that's about 2 pounds than BT's offering and
14 at 28 pounds, roughly, a 1 megabyte service, which is
15 about \$50. So we're really are not hitting the other
16 side. Because of the 3.4 megahertz, we've had to
17 design the cell size at about 2 kilometers in radius
18 to get the coverage that we want so that we can
19 penetrate at least one more into the whole.

20 We targeted to prove in our initial roll out
21 of about 10 percent of unit additions in the covered
22 market area to the broadband market and, in the first
23 few weeks, we began to see that we were exceeding that
24 several times over. So we're very confident that very
25 shortly the board will be giving us approval to move

1 towards a national network order -- roll out.

2 And, to quote Pierre, it just works. What
3 we're finding from the feedback the number of new
4 members that we've served, at least 95 percent of them
5 were actually online activations within their
6 receipt. So we were very confident that our
7 predictive tool, which looks at the current area
8 versus the address of the inquiring potential customer
9 is giving a high degree of accuracy, so that's been a
10 great relief for us. And the feedbacks have been
11 quite good. There are lot of bulletin boards and
12 message boards on the internet of some people you can
13 imagine they're quite technical geeks or whatever and
14 the reports on the performance has been pretty good.

15 Assuming we do get the approval from our
16 board, we'll begin looking to roll out to about -- I
17 don't know, 75 percent of the population in two years
18 is our target if we can meet all of the initial
19 performance indicators that we've been looking for.
20 That's about it really and with the major problems
21 that I would say we've had has not been so much
22 spectrum. We got it relatively easily and, besides
23 acquisition and planning approvals have been a major
24 difficulty and don't think that should be
25 underestimated. I think that will become, if a

1 problem in the U.S., it will become a growing problem
2 from what we've seen in the U.K., local councils,
3 local groups objecting to the town. This potential
4 threat of wireless.

5 And, also, we have to rely, to a large
6 extent, on the incumbent provider for the back haul
7 capacity from the base stations and that has not been
8 good. I think it's been more corruption rather than
9 conspiracy, but it hasn't been a good experience.
10 That's for sure. So we're now looking for the
11 alternatives to provide some ways of mitigating that
12 risk. Thank you.

13 COMMISSIONER ADELSTEIN: Well, thank you,
14 David. There's a lot we can learn from that
15 experience.

16 Now from the unlicensed perspective, we have
17 Mike Anderson from PART-15.ORG.

18 MR. ANDERSON: Thank you, Commissioner.

19 My name is Mike Anderson. I'm also here
20 wearing two hats, I think, today. I think is license
21 exempt wireless internet service provider and just
22 outside of Chicago we have 28 POTs, WIPOTs we call
23 them, wireless internet point of presence. Out of the
24 28, I think we pay rent on 2. The rest of them we
25 either bought our services in exchange for water tower

1 space or rooftop space to mount our antennas and
2 stuff.

3 We cover about 900 square miles. We have a
4 little less than 900 subscribers, customers. We have
5 12 hotspots. Most of our hotspots, we chose early on
6 not to go the way of charging individual users to use
7 the hotspot technology. We more elected to either use
8 that hotspot as an advertising point so when somebody
9 walks in, they open up their laptop, they try and
10 surf. They have to go to the login page and that's
11 where our advertisement is because we're in a small
12 community, rural America, so it seems to work as a
13 good advertising promotion for us very inexpensively.

14 The other hotspots we have, the person who
15 owns the location is the one who pays for the hotspot
16 technology. Many of the small rural places that the
17 license exempt guys are going after are the
18 restaurants, businesses, things like that and those
19 owners, the landlords of the property as a utility.
20 It's something to get. They needed to help the
21 customers come in and buy their food, beer and wine
22 and stuff like that, so they've just thrown the cost
23 of the broadband in with the cost of electricity and
24 gas and the other normal utility bills.

25 PDQ Link offers services to hospitals and

1 courthouses and everything broadband is needed for --
2 realtors, fire departments, police departments. We
3 have ambulances that have IP video cameras now in
4 them. So the hospital can actually watch the EMT
5 doing their thing in the back of the ambulance on the
6 way to the hospital -- sheriffs departments. A lot of
7 people are jumping on the licensed exempt. It's very
8 inexpensive to be a licensed exempt WISP. You can
9 become a WISP for less than \$5000, which creates its
10 own problems by being so cheap as far as technologies
11 go because a lot of people in the old days that were
12 in the good old networking guys now turn to the new
13 wireless side of things and they're not really RF
14 familiar and that causes self-interference issues
15 actually along with interference with other WISPs.
16 But, for the most part, it's working out extremely
17 well.

18 Just to make a quick comment, I'll put on my
19 other hat of Part 15 here. There are actually over
20 8000 licensed exempt WISPs in the United States
21 actively providing service. PDQ Link is 35 miles
22 outside of Chicago. If I look out my front door, I'm
23 in suburban Illinois. If I look out my back door,
24 there's cornfields, so I'm in rural Illinois. So we
25 cover both. We didn't try to get into the major

1 metropolitan areas, numerous issues, line-of-site,
2 everything else that's associated with the tall
3 buildings and the massive amounts of movement and
4 people but that's where all the bandwidth is. If you
5 go downtown Chicago, you can buy dark fiber for \$50 a
6 meg, but I'm 40 miles out in the boonie, so it cost me
7 \$600 a meg. So how do we overcome that. So I do have
8 some licensed spectrum. I don't own it. I rent it
9 from a person providing me the back haul, but I can
10 now buy 250, \$350 a meg bandwidth instead of that
11 normal hard wired \$600 a meg. That's working out
12 excellent. We have, like I say, 28 WIPOTs. Most of
13 our customers are providing voice over IP services and
14 packet 8 and things like that, very happy with the
15 performance of even the Wi-Fi 2.5 customers that we
16 have.

17 Out of the 28 towers, I just want to make a
18 note -- out of the 28 towers, not two of them have the
19 same exact equipment on them. This tower over here
20 might have a 900 megahertz solution and a 5.2 gig back
21 haul. This one over here will have a Wi-Fi solution
22 for the customer access and a 5.7 back haul or this
23 old tower over here might not have any Wi-Fi on it
24 because of the noise flow in that area because maybe
25 in that area I'm competing with 15 other WISPS.

1 Just an antidote, the other day I was
2 driving home from one our POTs and there's a program
3 out there called NextNumber. I don't know if many of
4 you know of it. It searches out access points in the
5 Wi-Fi arena. And, in that four miles it took me to
6 drive this one straight road in my service area, using
7 NextNumber, we picked up 111 access points and this
8 rural America gang. It's not like downtown. I would
9 have expected that leaving the City of Chicago, not
10 out in rural Illinois. Enough about PDQ Link.

11 Part 15 is the licensed exempt wireless
12 internet service providers organization. We have
13 hundreds of members from across the world actually,
14 major manufacturers, the Motorolas, the Airspans and
15 many of the manufacturers that are producing the
16 licensed exempt equipment. We saw the need for the
17 education and to going from the hard wire to the RAF
18 side. We host a conference called WISP Com. It's the
19 wireless internet service providers conference. It's
20 kind of different than a normal conference. It's not
21 your typical conference. It's more of an education
22 type thing. If the speaker says their company name
23 more than three times, we kind of beat up on them.
24 It's not really there for marketing type things.

25 Again, there's over 8000 WISPS in the U.S.

1 Most of them are providing support for rural and
2 suburban America. The advantages for licensed exempt
3 -- low cost for the spectrum. The disadvantages --
4 you're going to deal with interference issues. Most
5 of the interference issues can be worked out, though.
6 Most WISPS that want to cooperate know there's only
7 so much room in the sandbox and we all need to get
8 along or none of us are going to go very far. So, so
9 far, even with the massive growths -- back in '98 when
10 I started the transition from dial-up to wireless, the
11 Wi-Fi card that you can buy for \$39 at Best Buy now
12 cost me \$167 back then. But the prices keep going
13 down, so more and more people are getting into
14 wireless. It creates its own problem, but it's not
15 overcomeable. That's not a word.

16 Anyway, I'd rather get to the questions and
17 answers because I think that's more important than me
18 rambling.

19 COMMISSIONER ADELSTEIN: Well, thank you.

20 I'd actually like to follow-up on that.
21 You're kind of outnumbered here by the licensed
22 operators. You're an unlicensed person, but I wanted
23 to talk a little bit about the relationship between
24 the two, about what impact services and technologies
25 that operate in the license bands are having on the

1 deployment of wireless broadband in general. I'm kind
2 of curious of what you think. Anyone who wants to
3 respond is welcome to jump in here, whether or not
4 these services are complimentary or are they really
5 substitutes for one other? Or are there strategies
6 for integrating Wi-Fi with wide area wireless networks
7 and what types of integration strategies are working?
8 Do you think we'll ever see sort of a greater
9 seamless integration between them?

10 MR. WONG: It doesn't do either. Since we
11 serve both. The classic example of that is T-Mobile.
12 T-Mobile is probably the largest to my knowledge of
13 the commercial lifetime provider. They have all the
14 Starbuck's and they have a lot of red carpet clubs and
15 admiral clubs as well. So they obviously are a 2 and
16 1/2, 3G GPLS provider as well, which is GS exempt
17 technology. So we do both.

18 In terms of integration, I would say to you
19 that it's not the transport level for the integration
20 to occur. In most of these cases, the operators have
21 a better view than I do, perhaps, but it's about
22 billing and customer care integration that's sort of
23 job one. And job two, in my personal opinion, is the
24 applications integration. You have the same whether
25 it's an e-mail account, or photomessaging account or

1 whatever it is, to work equally well whether you're
2 sitting at the Starbuck/s or plugged into your Fiji
3 card at home. So I think it's billing and
4 applications and I think they're fully complimentary.

5 MR. STONE: Actually, I'll try mainly to say
6 I agree with everything Richard said, especially, the
7 last couple of points about services and applications
8 being transparent across access technologies --
9 billing, et cetera. We all, in fact, in the CMRS
10 domain, working in industry standards and moving
11 towards standards that will enable us to evolve our
12 network infrastructure to support multiple access
13 technologies. So that is a movement or a process
14 that's underway in standards as we speak.

15 In addition to that, I will say that I
16 believe that the success that we've seen with Wi-Fi,
17 especially, in the residential and enterprise domain,
18 not so much in the hotspot domain, but that remains to
19 be seen. T-Mobile is a good example. But,
20 especially, in the -- Michael pointed out the number
21 of residential access points he could pick up. I can
22 give you an antidote in my neighborhood that there's
23 at least six of my neighbors that have it. And, as a
24 matter of fact, as an RF engineer, I've already
25 coordinated frequency radios amongst us and I should

1 charge a fee for that, but haven't gotten to that just
2 yet.

3 (Laughter.)

4 MR. STONE: But the point is, is that's
5 wetting the appetite for broadband wireless on a
6 larger scale. One of the things that we found in our
7 broadband trials, similar to Atish, was that the
8 customers want coverage, ease of use and coverage,
9 which is very similar to the wireless services we
10 provide today. You turn on your phone. It works.
11 That's another quote that came up today. It just
12 works. That consistently is the feedback we're
13 getting. So, if we're going to move in this direction
14 of integrating access technologies or allowing these
15 services to work across multiple access technologies,
16 I think the key to success is that it's got to be easy
17 to use.

18 MR. GUDE: Bill, I think that, you know, one
19 of the things -- at some point in time I'd like to sit
20 next to the Verizon people. I think we'd find more
21 things in common.

22 (Laughter.)

23 MR. GUDE: I think that we have learned in
24 this industry of licensed spectrum users is that
25 quality is essential for our customer adoption and

1 interference is a significant barrier to that quality.
2 We have been very close to this interference issue.
3 So most of us wireless carriers, I think, feel very
4 comfortable in a world of delivering quality,
5 delivering services that customers value in a world of
6 licensed spectrum, but that doesn't mean that
7 unlicensed spectrum cannot coexist. We're already
8 seeing it in the 802.11 world. And, as technology
9 moves forward, the link between unlicensed and
10 licensed will become clear because of a point that I
11 was trying to stress earlier is that we will be in a
12 world -- we will likely live in a world of services
13 that will be increasingly more converged and networks
14 that will be increasingly more converged.

15 802. 11 provides a great bridging
16 environment between wireless and wireline. I mean,
17 it's taught us that. We also have, I think, overcome
18 the hurdle of multi-mode, multi-band. There are
19 devices that exist in those realms. But IP and SIP
20 are two protocols that get us a lot closer to
21 integration of technologies such that we're not that
22 far away from integrated billing, integrated customer
23 care because of those protocols. I wouldn't say that
24 we're there today. But, in that sense, we're probably
25 very close to a world where licensed and unlicensed

1 can coexist together and probably customers will
2 require that.

3 MR. SOBIESKI: Today, most of our partners
4 are operating in the other bands. Our value
5 proposition we're bringing to the table is that we
6 have a high capacity, ubiquitous IP connection to the
7 PSTN. That's what we provide. LNDS provides that and
8 we provide it to the wireless users. Right now, it's
9 mostly the transport layer. I think that an important
10 step is that, as the technologies and the standards
11 evolve, is more of that transparency, because
12 transport only provides -- can only go so far before
13 you're going to see the kinds of application space
14 that's really going to be available in the future.
15 That information has to be transported more than just
16 at the protocol level. So I see wideband spectrum
17 availability being used as an aggregation network
18 today, in the future. I say let's learn from what we
19 learned in the wireless environment. We started out
20 with very expensive, very few base stations. We're
21 now to quarter miles basing on those mobile
22 technologies. The higher frequencies play very well
23 in small, dense coverage areas.

24 So I see the whole industry evolving. I see
25 every one of those service groups will continue down

1 their path. I think there is a path in which
2 everybody can provide mobility services across
3 spectrums, so that the user can benefit with a high
4 flow of application space available to them.

5 MR. BERRIMAN: I'd like to concur with
6 everything that's been said. I think it's overview is
7 interference risk and investment risk. 802.11 is
8 really a world network. It's in the hotspot. It's
9 not providing less line. It's providing less yard and
10 I think, in Hong Kong, more broadband customers, we
11 have taken care of getting Wi-Fi hotspots into the
12 coffee shops, et cetera. And it's interesting. I
13 think about our way back into mobile. We sold our
14 mobile business a few years ago. On our way back,
15 we've been dealing with handsets where a person is
16 locked into his home and at this point, which is Wi-Fi
17 compatible.

18 In that situation, we don't have a problem
19 with unlicensed spectrum. We think it's good. But I
20 think for us to go investing the last mile solutions,
21 using unlicensed, then I think we'd have a problem.
22 So it's really has to do with investment risk and
23 interference risks.

24 MR. ANDERSON: Just a quick note, I'd just
25 like to clarify, I guess. A lot of people think

1 unlicensed means 802.11 and there's so many other
2 things in the unlicensed that are not 802.11 that are
3 working very successfully to overcome the interference
4 issues that the people are concerned with. For
5 example, we have 57 and 58 radios that can detect
6 another frequency being used in that range of changes
7 and bypass it to continue providing the service. So
8 there are many other license exempt bands out there
9 that we are using because of the interference issue.
10 So I just wanted to make it clear that most people
11 think Wi-Fi 802.11 is license exempt. Well, it is,
12 but there are so many other things out there as well.

13 MR. BERRIMAN: Can I come back on that?
14 Well, I think the only problem I've got with that is
15 the fact that what can work now? It works now but you
16 don't know what's going to come along in the future.
17 We've seen an influx in Hong Kong with devices from
18 Korea that allow you to connect your T.V. in the
19 bedroom from your DVD player in the living room and it
20 uses the 2.5 license spectrum. You turn it on. You
21 get a good picture in the bedroom, but your Wi-Fi has
22 just died and it what comes on afterwards, not whether
23 you can make it work now that is the issue with
24 unlicensed versus a future risk.

25 MR. ANDERSON: True. Maybe unlicensed is a

1 temporary solution because it's here now and until the
2 Nextels and everybody else comes to north rural
3 Illinois, I have to do something or I'm just -- can I
4 say SOL?

5 (Laughter.)

6 COMMISSIONER ADELSTEIN: Now, in terms of
7 business strategies we're here to talk about. I'm
8 from a rural state, South Dakota, and I think about
9 the fact that we led the way. I used to be so proud
10 that we had this company out there and I want to
11 reflect on some tragedies as well as the benefits. We
12 had a company called Morning Mobile Services that was
13 using EVDO just like Verizon, only they did before
14 Verizon in the small markets. I used to say we love
15 the rain in South Dakota because we had through first
16 in Sioux Falls. Actually, our biggest community and
17 they were targeting these mid-size communities like
18 Sioux Falls and Duluth, Minnesota.

19 They went bankrupt and they're out of
20 business and they've shut down service. So I kind of
21 wanted to think about, in terms of business
22 strategies, what you've learned from their experience.
23 Were they too early? Was this something that really
24 doesn't work in less populated markets? What are the
25 most important factors for the plain services? Is it

1 consumer demand or is it network quality because,
2 certainly, they had a good quality service? Is it the
3 type of service? EVDO seems like a wonderful
4 technology. Or was it about price and educating the
5 consumer? What is it that works? What can we learn
6 from that experience? Anybody who wants to reflect on
7 that. Obviously, Verizon go first. It's used the
8 same technology.

9 MR. STONE: I think, in this case, you
10 really have to start with the business case and
11 network quality, absolutely, is very important. We've
12 learned that through the years and we focus a lot of
13 time and energy and investment on providing a high
14 quality network. But, in addition to network quality,
15 you need customers. I mean, you need revenues to
16 offset the costs of operating the network and the
17 capital to build out the network.

18 And what we've found with experience that
19 works is you target the metropolitan areas first. You
20 go where the enterprise customers are located. You go
21 whether there's the highest concentration of consumers
22 and, as you ramp up volume and ramp up skill, you can
23 drive down the operating cost. The cost to deploy
24 goes down. The device cost goes down and you
25 prorogate outward from the metropolitan areas. That's

1 the formula that's worked over and over again with
2 Verizon Wireless.

3 We started with analog technology way back
4 when and started in the metropolitan areas, propagated
5 outward. Did the same thing with our digital
6 deployment in the mid-'90s. Most recently, our 1-X
7 technology we started in the metropolitan areas. And,
8 all of the above, is now in 100 percent of our cell
9 sites. So we're starting over again with EVDO. I
10 expect it to go the exact same way and, all the while,
11 we continue to add base stations as well. So, in
12 addition to starting with new technology and building
13 outward, we continue to expand coverage by investing
14 in most base stations as well.

15 MR. WONG: I would say, God bless
16 capitalism, basically. The entire history of
17 telecommunication has never said go after stuff and
18 sometimes they break out and make it happen and
19 sometimes they don't. And, since the Telecom Act of
20 '96, whether it's Kodak, Rhythms, at home, Arsenio,
21 you know, every single one of those companies has had
22 its ups and downs and some of them have survived and
23 some of them haven't and that's healthy. That's good.
24 That's what capitalism is about is trying those
25 different experiences. So, actually, I view that as a

1 very healthy thing that there are people that go out
2 there that are mavericks that experiment and not all
3 of them are going to make it.

4 The second point I think I'd make is I
5 believe there are some things and it turns that EVDO
6 technology, I think, is one of those things where it
7 just take a greater set of deep pockets to resource to
8 make it happen. It is just a very expensive process
9 as well as technology challenges to go after it and I
10 think that it was probably a little bit ahead of its
11 time in terms of the handsets and the technology
12 really wasn't there to be deployed at that scale, but
13 those are necessarily bad things. I think
14 experimentation is a healthy thing for the industry
15 and for, frankly, our economy in my opinion.

16 COMMISSIONER ADELSTEIN: Is it sort of a bad
17 sign for future deployment in rural areas? I mean, is
18 it going to be the last place to get this kind of
19 service because of the small scale?

20 MR. BERRIMAN: Can I speak from experience?
21 At the moment, one could believe the technology is
22 available. We're not driven by technologies. We're
23 driven by the fact that it's a non-line-of-site
24 proposition. So there's all different technologies
25 available. But one of the common things is that, to

1 make it work, we've got to work with current projected
2 prices of that equipment at infrastructure costs will
3 allow you to be viable with something like 79,000
4 households per cell.

5 Right now, I'm sure as you were saying,
6 Bill, the cost will come down, the standards, with
7 everything else, and then you can start to look out to
8 the more rural areas. But I mentioned you're going to
9 try to do 75 percent of the households within two
10 years. Doing 25 percent, we might never do this twice
11 because it's so spread out and, unless we move to a
12 line-of-site technology to do it, I can't see us doing
13 it unless the prices come down in the infrastructure.

14 MR. SOBIESKI: The driver in all of these CP
15 equipment -- I mean, we need to get CP equipment used
16 in all these bands. The cost to the service provider
17 in the few hundred dollar range, not the thousands or
18 thousands of dollars or 10s of thousands dollar range.
19 As long as that equipment is at that kind of price
20 point, you're going to still have to service only
21 selected market segments, either geographical or
22 customer bases. So the only way you're going to get
23 that is to kind of economy to scale for mass
24 production that you're seeing in the unlicensed band
25 because people perceive the spectrum availability

1 opens up the marketplace.

2 Our position is we're trying to change the
3 paradigm and say that even licensed space can be
4 available through partnership arrangements to create
5 that kind of access to the marketplace that will allow
6 people to produce equipment in that spectrum that
7 gives you that same kind of price point from a
8 purchase perspective. So it's a different paradigm
9 and we understand that.

10 COMMISSIONER ADELSTEIN: One more question I
11 just I'd like to touch on quickly before we open it up
12 is really is constantly here at the FCC we hear about
13 working on and contemplating the future of voice-over
14 internet protocol and the thing that raises this issue
15 for me is, when do you think we'll see mobile phone
16 become commercially available? Is that a peculiar
17 application here for wireless broadband and would
18 these device be able to roam, you think, between Wi-Fi
19 hotspots and some of the networks?

20 MR. GUDE: Let me see if I can just start
21 off with that. Voice-over IP, I think everybody
22 understands there are three kinds of voice-over IP.
23 There's voice-over IP in the back haul technology and
24 there's been a lot of progress made in that area.
25 There's voice-over IP vantage style and then there's

1 voice-over IP on the air link between some tower and a
2 mobile phone and, perhaps, there's other definitions
3 as well.

4 We don't see voice-over IP as something that
5 we take a very long period of time to develop. We
6 think that it is relatively close on the horizon. But
7 I don't want to start from the technology first. I
8 really want to go back to the customer demand issue
9 and talk about a conceptual state of mind that people
10 always refer to as convergence. In a world of
11 convergence, we need to talk about network
12 convergence. You can talk service convergence. You
13 can talk about a lot of different kinds of
14 convergence, but what broadband allows us to do is to
15 take all of those service within voice, media or data
16 and put them over the same access medium.

17 So the importance of VOIP is that, number
18 one, it allows for enhanced services to be brought to
19 consumers. And, depending how you look at it, it also
20 lowers the cost of broadband entry. Let me give you
21 an example. If you have a customer who is a landline
22 -- an example, if you have a customer who is paying
23 for DSL access at \$35 and they're paying \$50 for local
24 and LD service, they're paying about \$85.

25 If that customer happens to buy broadband

1 and then starts to go vantage like, unlimited local
2 and LDs are only \$35. So you're now at \$70 total.
3 That savings of \$15 or \$20 effectively lowered the
4 cost of broadband. So voice-over IP is a very
5 interesting opportunity. It is an application. It's
6 also a means of communication and then you can extend
7 this to a wireless, but, at the end of the day, what
8 we think is that voice-over IP is an application that
9 really brings a lot of utility to customers in
10 enhancing the value proposition.

11 MR. BERRIMAN: I was just going to say I
12 think it depends on what your business model is. If
13 you're looking to do lower cost long distance, then
14 voice-over IP there is a market for that. If you have
15 a fixed network, like we have in Hong Kong, we have so
16 many voice lines already, we're not going to replace
17 voice with voice for new additional revenue.

18 So, with that end of the spectrum, in the
19 U.K., for our next generation of modem we'll have a
20 built-in voice-over IP software with the intention of
21 having that capability because it suits us, having an
22 IP stream as our access mode to have voice-over IP as
23 the means of doing. So, in Hong Kong, we have
24 voice-under IP as well voice-over IP where we have an
25 IP stream as our main access.

1 MR. STONE: Adding to what Atish said, and I
2 agree with everything, especially, the consumer demand
3 piece. Just a couple of other comments. I think I'm
4 a little more bearish on timing, certainly, I see the
5 potential, the incentive for a wireless provider, the
6 exist CMRS providers to move forward with voice-over
7 IP. However, you do need to keep in mind that today,
8 as we've talked about a lot, our customers demand high
9 quality service. We, the service providers, are
10 incented to provide service in a very efficient
11 manner.

12 And today, voice-over IP, does not
13 accomplish either of those things or I should say
14 differently. The CDMA circuit switched or the circuit
15 switched voice call model, in general, has a very rich
16 set of features. It's well optimized and operates
17 very, very efficiently.

18 So the up side in the near term is the
19 enhanced services, but we also need to catch up --
20 voice-over IP over wireless needs to catch up with
21 circuited switched voice in terms of efficiency and
the set of feature